

NORTH CAROLINA DEPARTMENT OF INSURANCE
RALEIGH, NORTH CAROLINA

STATE OF NORTH CAROLINA
COUNTY OF WAKE

COPY

BEFORE THE
COMMISSIONER OF
INSURANCE

IN THE MATTER OF:

THE FILING DATED JANUARY 3,)
2024, BY NORTH CAROLINA RATE)
BUREAU FOR THE REVISION OF) Docket No. 2157
HOMEOWNERS INSURANCE RATES)
_____)

BEFORE: AMY FUNDERBURK, HEARING OFFICER

TRANSCRIPT
OF
HEARING

VOLUME XIX - A. M. SESSION

Raleigh, North Carolina

December 6, 2024

9:05 a.m.

A P P E A R A N C E S

ON BEHALF OF THE NORTH CAROLINA RATE BUREAU:

YOUNG MOORE AND HENDERSON, P. A.

3101 Glenwood Avenue

Suite 200

Raleigh, North Carolina 27612

Telephone: (919) 861-5114

By: MARVIN M. (MICKY) SPIVEY, JR., ESQ.

micky.spivey@youngmoorelaw.com

BRIAN O. BEVERLY, ESQ.

brian.beverly@youngmoorelaw.com

ON BEHALF OF THE NORTH CAROLINA DEPARTMENT OF INSURANCE:

NORTH CAROLINA DEPARTMENT OF INSURANCE

3200 Beechleaf Court

Raleigh, North Carolina 27604

Telephone: (919) 807-6091

By: TERENCE D. FRIEDMAN, ESQ.

terence.friedman@ncdoi.gov

I N D E X O F E X A M I N A T I O N S

THE WITNESS: M I N C H O N G M A O

I N D E X O F E X A M I N A T I O N S

Conti nued Di rect Exami nati on by: PAGE

BY MR. SPIVEY 2725, 2801

Cross-Exami nati on by:

BY MS. FUNDERBURK 2784

Cross-Exami nati on by:

BY MR. FRIEDMAN 2807

I N D E X O F E X H I B I T S

NUMBER DESCRIPTION MARKED

Exhi bi t RB-35 Exhi bi t usi ng methodol ogy 2726
descri bed by Dr. Pi el ke re:
di stri buti on of nor mal i zed actual
hurri cane dam ages by
Saffi r-Si mps on i nte nsi ty for
com pari son to the di splay of AI R
and RMS model outputs that Ms.
Cavanaugh presented in her Table
14

Exhi bi t RB-36 Exhi bi t present ing vari ous 2740
stat i sti cal anal yses relat ed to
the data in Table 15-B

Exhi bi t RB-37 Exhi bi t prepared by Ms. Mao for . . 2764
com pari son pur poses relat ing to
ex pected loss for vari ous years

Exhi bi t RB-38 Exhi bi t to demon strate the 2767
effe cts of Ms. Cavanaugh's
deci sion to give the RMS model
100 per cent weight and to use the
long-term ILS data to approximate
the price of rei nsurance

1 P R O C E E D I N G S

2 MS. FUNDERBURK: Are there any
3 administrative or preliminary matters we need to
4 address this morning before we resume?

5 MR. FRIEDMAN: Yes, your Honor.

6 I need to put on the record now a fair
7 number of serious concerns I have already about the
8 way this rebuttal case is heading if there aren't some
9 strict limitations placed on it soon.

10 Mr. Spivey has mentioned the established
11 procedures in place at other hearings. One of those
12 established procedures by Commissioner Long was that
13 on rebuttal, every new exhibit had to be provided to
14 opposing counsel 24 hours before.

15 Another of those procedures was that every
16 single rebuttal question had to be preceded by an
17 identification of exactly what was being rebutted and
18 its original source. This was exactly so that counsel
19 did not have to go back to their offices and spend the
20 evening trying to figure -- determine if the rebuttal
21 testimony was even really rebuttal testimony.

22 Now, about the brand-new exhibits I've
23 gotten over the past 24 hours -- hasn't even been a
24 real 24 hours -- from opposing counsel: I received
25 nine of them 30 minutes before the hearing resumed

1 yesterday, and that was -- then there was an hour and
2 a half, then we were with Mr. Schwartz for an hour,
3 and then they began their rebuttal at 3:00, and that
4 was 1.5 hours before I got the -- after I got the
5 exhibits.

6 Then last night, at 10:50 p.m., I received a
7 new version of one of those nine documents that
8 changed an entire formula that had been used in the
9 document, as well as other resulting numbers, and
10 added a description of what a column meant that was
11 not apparent before. And plus, it seems apparent to
12 me that there are going to be even more exhibits
13 rolling in, at some point, for Mr. Anderson and
14 Dr. Zanjani.

15 Now, as to Ms. Mao alone, I won't be able to
16 prepare a full cross about all of the exhibits and all
17 of her testimony until after we end today. I could
18 probably go for a couple of hours, but it is clear
19 that there is so much new stuff, I'm not going to be
20 able to go through it by the end of the day -- or
21 prepare to go through it.

22 One of the reasons is because I think there
23 are things Ms. Mao has said yesterday already that are
24 inconsistent with her prior days of testimony, and
25 there may yet be more this morning. It takes time to

1 go back and -- after hearing her out and determine all
2 of the relevant past transcript cites that I have to
3 search for.

4 Second of all, I only had the time to begin
5 reviewing these nine new exhibits with one of my
6 experts last night, and that was before I received the
7 revised exhibit at 10:30 p.m. I won't have time to
8 fully review the nine new experts with both of my
9 experts until after the end of the trial today.

10 Third, I can already see that for some of
11 these exhibits I'm going to ask the NCRB to supplement
12 source detail so that the DOI can evaluate the
13 exhibits. For example, I'm probably going to need to
14 ask the Rate Bureau to provide some Excels underlying
15 their new calculations so that we can see the formulas
16 they're using. Additionally, because I dispute that
17 some of these are actually true rebuttals, I'm going
18 to be asking for some metadata to determine exactly
19 how long the -- they've been working on these supposed
20 rebuttals.

21 Fourth, I've already indicated, in my direct
22 of Ms. Cavanaugh yesterday, a number of discovery and
23 data requests that I believe required -- that required
24 responses earlier and are directly relevant to what
25 we're being provided now. And I've got other

1 discovery requests that I believe would have required
2 these be produced earlier; it's just that I have not
3 had the time to go through my four rounds of discovery
4 plus our data requests. So I'm going to need time to
5 really lay out that argument.

6 And then I suspect the most effective way to
7 do that would be in writing to show the authority that
8 would have required disclosing these earlier. That,
9 too, takes time.

10 And I already know at least two of the
11 exhibits I plan to move to strike, but I haven't
12 written out all of the arguments to strike them. And
13 needless to say, I'd be wanting to strike all of the
14 testimony that is derived from it.

15 Fifth, I think this whole cycle is going to
16 be repeated with their next three witnesses. They're
17 going to testify to new analyses with data that they
18 hadn't, in response to discovery, said they were using
19 in their analyses, and now they're using them in the
20 new exhibits.

21 And then finally, another problem here is
22 that my experts take seriously their obligations to
23 supplement their reports whenever they learn of new
24 analyses or, for example -- or new data, or, for
25 example, a contrary law, and they won't even be able

1 to evaluate any need to supplement their reports, and
2 what effect those supplements may have on their
3 conclusions, until after there are rulings on the
4 admissibility of all of these new exhibits and new
5 testimony.

6 So at this point -- sorry for the length of
7 that -- I think the Court should already impose some
8 strict limitations on what the parties can do on
9 rebuttal. The problem is, with all of these new
10 exhibits pouring in, I haven't had time to consider
11 all what those limitations should be.

12 MS. FUNDERBURK: Response, Mr. Spivey?

13 MR. SPIVEY: Can I have just one
14 moment?

15 MS. FUNDERBURK: Yes.

16 MR. SPIVEY: Your Honor, just a few
17 comments in response.

18 There was reference to established
19 procedures. I know yesterday we spoke in terms of
20 something about rebuttal processes and that sort of
21 thing. Commissioner Long may well have directed us to
22 get exhibits in 24 hours ahead. That was some kind of
23 ad hoc situation in one hearing, most likely.

24 I would also note, in that respect, it was
25 certainly rare in the past, at least as I'm recalling

1 it, that we didn't -- that we had to start rebuttal
2 literally immediately following the completion of the
3 Department's case, and, as you well know, we had a
4 number of delays getting to that point, so...

5 And then again, between the closing of the
6 Department -- well, not even the closing -- between
7 Ms. Cavanaugh finishing and then trying to start our
8 rebuttal case, we ended up spending hours the other
9 night with Mr. Schwartz's revisions that were dropped
10 in, as we've noted, you know, over a month after he
11 completed his testimony. All taking time.

12 Certainly Mr. Friedman's concerns are noted,
13 but I think we're fully within proper management of
14 rebuttal testimony and that sort of thing. Exhibits
15 that are being provided to him in rebuttal are
16 rebuttal exhibits, and literally we have just been
17 able to prepare rebuttal since they completed their
18 case -- rested their case yesterday.

19 So I'd certainly like to -- we have the
20 witness here -- I'd like to go ahead and proceed to
21 get this witness in, the evidence completed. We can
22 deal with whatever other things he wants to talk about
23 in due course.

24 MS. FUNDERBURK: Thank you.

25 Yeah, I think the most important thing today

1 is we've got to get past your presentation with
2 Ms. Mao. I'm not insensitive to the idea it takes
3 time to review materials, just as I was cognizant
4 I didn't want the Rate Bureau to not have sufficient
5 time. I think you still probably only had about --
6 you had less than 24 hours -- you might have had in
7 the range of 18 hours -- and some of that was
8 overnight -- to review changes to -- the changes to
9 Mr. Schwartz's report --

10 MR. FRIEDMAN: Yeah, I'm sensitive of
11 that.

12 MS. FUNDERBURK: Yeah. So as I was
13 concerned with you having enough time to make sure you
14 had reviewed -- and I think you turned it around very
15 quickly -- I am concerned with Mr. Friedman having
16 enough time.

17 As to Commissioner Long, we have a
18 prehearing order in place. I don't believe anything
19 about presentation of -- I haven't looked at it in
20 quite some time. I don't think anything about ad hoc
21 rules that former-Commissioner Long may have put into
22 place were addressed. I'm not aware of those -- any
23 procedures he put into place having been codified in
24 the Administrative Code.

25 Am I incorrect on those two assumptions?

1 MR. FRIEDMAN: I don't believe these
2 were. I think they were the established practice of
3 the parties in more than one hearing, and that those
4 were -- those were the norms that I had assumed were
5 going to be following.

6 MS. FUNDERBURK: And for future
7 reference, other hearing officers will feel
8 differently, but if there's an expectation of norms or
9 procedures, they need to be addressed in the
10 prehearing order so that everyone is clear what those
11 are.

12 When did you receive -- when did you receive
13 the documents you're concerned about?

14 MR. FRIEDMAN: First ones -- well, nine
15 I received at 1:30 yesterday; and then one
16 I completely -- or a significantly redone version of
17 one of them I received at 10:30 last night. And
18 I believe, again, that at least some of these are
19 responsive to data that we requested long ago.

20 And I want to explain something also about
21 Rule 26. Your Honor expressed some questions about
22 whether that was applicable to the prefile testimony
23 here.

24 One, these have all been designated as
25 experts under that civil rule. And that civil rule

1 has very specific requirements, above and beyond
2 discovery, about what the obligation to produce all
3 documents that have been reviewed by the expert along
4 with the expert's report.

5 In this case, certainly we received some
6 documents that they had reviewed. Other documents
7 they had reviewed, such as the Rule 38 attestation
8 itself, weren't provided with the filing, and we had
9 to ask for them.

10 The -- also there's law -- not federal
11 law -- state law but federal law, in that same
12 language review, or considered, that makes clear that
13 that means stuff you looked at and decided "I don't
14 need to use it" and the stuff you looked at or may not
15 need to use now.

16 I'm going to have some real discovery about
17 when Ms. Mao, who seems awfully familiar with this
18 article, first knew of it --

19 MS. FUNDERBURK: And you're free to ask
20 her about that in your cross.

21 MR. FRIEDMAN: Yes. So -- but I guess
22 what I'm getting to is, at this point, though, I do
23 need to formally move to strike 36 and 35 and 46. And
24 I can point you to those discovery requests,
25 I believe, right now --

1 MS. FUNDERBURK: Those have not
2 actually been introduced yet.

3 MR. FRIEDMAN: Okay.

4 MS. FUNDERBURK: They have not been
5 presented. We haven't made any arguments about their
6 admissibility or applicability. I've only become
7 aware of what they are I've been handed them. So
8 there's been no foundation. I don't know anything
9 before we on those exhibits. I'm not going to make a
10 ruling on excluding those.

11 MR. FRIEDMAN: Okay.

12 MS. FUNDERBURK: As to scope of
13 rebuttal, at this point, we are still within what
14 I deem to be the appropriate scope of rebuttal. You
15 are free to raise objections as we proceed through the
16 case if you feel like there is a string from
17 presentation of evidence that is intended to cast
18 doubt to the information that you presented and the
19 evidence that you presented, but at this point, it
20 appears to me that we have remained within the
21 appropriate scope of rebuttal.

22 Unless there's something else we need to
23 address, we need to proceed with Ms. Mao's testimony
24 to conclude that. As we discussed yesterday, we can
25 further evaluate whether -- evaluate the scheduling of

1 her cross-examination by Mr. Friedman, including
2 taking a potentially longer lunch break to review some
3 materials, if we -- you know.

4 And, Mr. Friedman, you're free to make
5 additional arguments after the close of her testimony
6 about needing additional time, but at this point we
7 have got to get at least through her direct.

8 Is there anything else we need to address
9 before we begin?

10 MR. SPIVEY: Not from the Rate Bureau.

11 MS. FUNDERBURK: Anything from you,
12 Mr. Friedman.

13 MR. FRIEDMAN: No, ma'am.

14 MS. FUNDERBURK: Okay. Ms. Mao,
15 I'll remind you do continue to be under oath. Thank
16 you.

17 Please proceed, Mr. Spivey.

18 MR. SPIVEY: Thank you, your Honor.

19 CONTINUED DIRECT EXAMINATION BY COUNSEL FOR THE
20 NORTH CAROLINA RATE BUREAU

21 BY MR. SPIVEY:

22 Q. Ms. Mao, when we broke yesterday, I believe
23 you had testified regarding the article by Dr. Pielke
24 that has been labeled and admitted into evidence as
25 Exhibit RB-34. Do you recall -- do you have that

1 before you? And I don't know that we need it, but --

2 A. I don't -- I don't think I have that.

3 MS. FUNDERBURK: Just one moment. I'm
4 going to retrieve the book that I have with that
5 article in it.

6 Thank you, Mr. Spivey. Please proceed.

7 MR. SPIVEY: Your Honor, I don't know
8 that she needs it, but I'm going to put a copy of that
9 exhibit in front of the witness, please.

10 (Document was handed to the witness.)

11 BY MR. SPIVEY:

12 Q. And I believe when we broke, Ms. Mao, I was
13 starting to ask you, and I'll ask you now again, have
14 you prepared an exhibit using the methodology
15 described by Dr. Pielke that presents the distribution
16 of normalized actual hurricane damages by
17 Saffir-Simpson intensity for comparison to the display
18 of the AIR and RMS model outputs that Ms. Cavanaugh
19 presented in her Table 14?

20 A. Yes.

21 (Exhibit No. RB-35 was marked for identification.)

22 Q. And do you have in front of you the exhibit
23 that is marked Exhibit RB-35?

24 A. Yes.

25 Q. Can you identify that exhibit?

1 A. Yes.

2 Q. Is that the exhibit that you have prepared
3 that I just described in my question?

4 A. Yes, that's an exhibit I prepared.

5 Q. All right. Can you please explain --

6 MR. FRIEDMAN: Your Honor, at this
7 point, when her explanation comes out, that is going
8 to, we think, because we think this data -- this whole
9 exhibit should not be allowed in -- once she gives the
10 explanation, it triggers the responsibility of our
11 experts to have to -- if it's allowed in and her new
12 analysis is allowed in that we asked for repeatedly
13 on -- in our data request and our discovery request --
14 is allowed in, then our experts -- that triggers it;
15 and that triggers both their potential need to revise
16 their testimony, because there's a whole new analysis
17 with whole new data being allowed in and being allowed
18 to be testified. And they need to figure out whether
19 that's going to have a result -- an effect on their
20 underlying numbers, because, like I say, they take
21 very seriously the fact that, at any time, if they
22 become aware of new data that is being ruled relevant
23 or allowed in, they've got to go back and evaluate
24 what changes it has -- it makes to their prefile
25 testimony.

1 So at this -- I'm moving to strike this now
2 before the sub- -- they begin getting into the
3 substance.

4 MS. FUNDERBURK: I'm not going to
5 strike the exhibit before I've heard the foundation
6 and the description of it.

7 You're free to make a subsequent objection,
8 but as of right now, your objection is overruled,
9 subject to -- you're free to object after we actually
10 have a foundation and I've been able to hear some
11 information of what this is.

12 Please proceed, Mr. Spivey.

13 BY MR. SPIVEY:

14 Q. Ms. Mao, would you please explain what you
15 have done in preparing Exhibit RB-35, and explain what
16 this exhibit shows.

17 A. Sure. On Exhibit RB-35 there are two tables
18 on the exhibit. The top table has two portions. The
19 first portion is Ms. Cavanaugh's Table 14 in her
20 testimony where she showed the damage by category
21 between -- I don't remember the -- I have to reference
22 back to her Table 14 to show the number of years she
23 used.

24 But basically, she showed -- oh, I'm sorry.
25 She calculated AIR and the RMS, the damage or the loss

1 by category. And then in the last column, she
2 calculated the major hurricanes -- that is
3 Category III through V -- their percentage of the
4 overall loss.

5 MR. FRIEDMAN: Your Honor, at this
6 point, I'm going to move to strike. I think that's
7 enough foundation because she's now gone well into the
8 substance of what's in there. And I'm going to, if
9 you would allow me, go through the discovery requests
10 and data requests that we think this was directly
11 responsive to.

12 MR. SPIVEY: Your Honor, we're simply
13 presenting a rebuttal exhibit to material presented to
14 Ms. Cavanaugh in her testimony which we received in
15 September of this year. But she just finished her
16 testimony on -- whatever day it was -- Wednesday or
17 Thursday now, so -- we were just asking her questions
18 about this very stuff --

19 MR. FRIEDMAN: She's already gone
20 into --

21 MR. SPIVEY: -- a couple of days ago.

22 MR. FRIEDMAN: Excuse me. I'm sorry.
23 No, please.

24 MS. FUNDERBURK: Did you have another
25 comment, Mr. Friedman?

1 MR. FRIEDMAN: Yes. I'd like to read
2 into -- go to the discovery --

3 MS. FUNDERBURK: Please make sure
4 you're speaking in the microphone.

5 MR. FRIEDMAN: I'd like to go to the
6 discovery requests for your Honor to go over the ones
7 that I know of right now this would have been
8 responsive to, and I think they had a duty to reveal
9 it long ago.

10 I'm going to turn in our Exhibit 3 to data
11 requests. Let me find which exhibit.

12 MS. FUNDERBURK: So, Mr. Friedman,
13 you're objecting, at this point, not because it's
14 outside the scope of rebuttal, but because you believe
15 you asked for it previously and were not given the
16 information contained in the exhibit?

17 MR. FRIEDMAN: I haven't had time to
18 evaluate whether I have -- I haven't heard at all the
19 full scope of what they're talking to -- about, but
20 what I do --

21 MS. FUNDERBURK: Please speak into the
22 microphone.

23 MR. FRIEDMAN: I'm sorry.

24 I don't even know that I can evaluate the
25 full scope of whether this is rebuttal yet, but what

1 I do know is that this is exactly what we had asked
2 for, and I need to -- I would like to describe that
3 language and their answer. And our position is
4 this -- exactly this document and exactly -- whatever
5 interrog- -- and some interrogatories they were going
6 to argue they should have told us about four, five
7 months ago.

8 MS. FUNDERBURK: Any response,
9 Mr. Spivey?

10 MR. SPIVEY: I guess I need to know
11 what he's pointing at. I can't imagine that any
12 discovery that he's going to point to would properly
13 require us to present something that we have
14 represented in rebuttal this week.

15 MR. FRIEDMAN: So --

16 MS. FUNDERBURK: Can you quickly
17 reference --

18 MR. FRIEDMAN: I can.

19 MS. FUNDERBURK: -- what you're
20 referring to so that we can continue with the
21 examination of Ms. Mao?

22 MR. FRIEDMAN: I'm referring to -- I'm
23 in Exhibit 4 of the Department's Book 3. And Item 77
24 states -- this is a data request (as read):

25 "Provide a statistical analysis

1 comparing the historic loss data
2 with any simulated losses used to
3 support the rate filing."

4 The response -- and may I make clear, that's
5 exactly what 35 is. It's comparing the historic loss
6 data with their simulated loss data.

7 MR. SPIVEY: I'm sorry, which number
8 are you referring to?

9 MR. FRIEDMAN: I believe 35.

10 MR. SPIVEY: I'm talking about in the
11 data request.

12 MR. FRIEDMAN: Oh, I'm sorry. 77.

13 MR. SPIVEY: 76?

14 MR. FRIEDMAN: 77.

15 MS. FUNDERBURK: 77.

16 MR. FRIEDMAN: And the response was
17 (as read):

18 "Without waiving any objections,
19 the Rate Bureau responds further
20 as follows.

21 "Neither the Rate Bureau nor any
22 of its consultants have any such
23 requested analysis. Further, to
24 the extent this item requests that
25 the Rate Bureau prepare the

1 requested analysis, the Rate
2 Bureau objects that the request is
3 not a proper data request or a
4 proper discovery request, is
5 over-broad, and is unduly
6 burdensome."

7 And the equivalent of that data request was
8 repeated in a formal discovery request.

9 I can go on with other ones I think are --
10 would have called for this. And I -- before I do,
11 though, I want to emphasize that, again, this -- if
12 Ms. Mao knew about that article and wanted to make an
13 analysis based on it -- if she knew about it before,
14 heck, the Rule -- Rule 26 would have required her to
15 have revealed it when they filed their testimony. And
16 it wasn't. And we asked subsequent questions trying
17 to eke out exactly this question. And now a document
18 which is directly responsive to this question and
19 other discovery requests is about to be put in.

20 MS. FUNDERBURK: Mr. Spivey?

21 MR. SPIVEY: Your Honor, I want to
22 respond, at least briefly, here.

23 First of all, this type of claim that this
24 material should have been provided in discovery is new
25 to me. I've never experienced this kind of thing in a

1 rebuttal situation in my life.

2 But I will point out that the data request
3 that Mr. Friedman is pointing to specifically is made
4 in reference to pages in the filing, Exhibit RB-1,
5 pages F3 through F32. The statistical analysis that's
6 referred to there has a history, and it's very
7 pointedly requesting something that is mentioned in
8 the statutes. We have had issues -- discussions about
9 that previously, and our response was we don't have
10 it. That was true then; that is true today.

11 The material we're talking about in
12 Exhibit RB-35 in no way is responsive to what he's
13 pointing to in the data request. And for him to be
14 suggesting that we had some obligation to envision
15 what his witnesses were going to present in their
16 responsive testimony, which we received in September,
17 is ludicrous.

18 This exhibit is responding to
19 Ms. Cavanaugh's testimony that we just examined her on
20 this week.

21 MS. FUNDERBURK: The objection is
22 overruled.

23 Please proceed with your questioning.

24 BY MR. SPIVEY:

25 Q. Ms. Mao, I believe you were beginning to

1 explain what you had done in preparing and now
2 presenting Exhibit RB-35, and I believe you were
3 pointing out what the top portion of your exhibit is
4 showing.

5 A. Yes --

6 Q. And I will just point out for your sake, as
7 well as everyone's, that the Table 14 that
8 Ms. Cavanaugh presented is on page 36 of her profile
9 testimony.

10 A. Yes, the top portion is Ms. Cavanaugh's
11 Table 14. And the bottom part of the first table,
12 I added two rows based on Dr. Pielke's paper, and the
13 source of those two rows are showed in the bottom
14 table. The bottom table is taken out of the Pielke
15 paper -- Pielke paper, Table 5.

16 So what I did is taking the row "Total" --
17 the column "Total damage" column in the Pielke table
18 and transpose the numbers into those two rows. For
19 example, Category 1, total damage: 55,172. So
20 I insert that table into -- under the column under
21 Category 1. So I did these -- transposed the
22 Categories 1 through 5 into the row "Pielke PL
23 Normalization." And then I did the same for "Pielke
24 CL Normalization." So the last column of the top
25 table, I calculated Pielke's percentage of major

1 hurricanes as a total loss.

2 So here, you may notice for both Pielke
3 methods it's 85 [sic] percent. That's slightly higher
4 than the 85 percent in the footnote. So that is
5 because, in the top table, Ms. Cavanaugh didn't
6 include the tropical/subtropical storms, so there's a
7 small portion of tropical and subtropical losses are
8 not included in the denominator; so therefore my
9 calculation of the major hurricanes is slightly higher
10 than Mr. Pielke's 85. My number is 87.

11 But when we compare AIR's major hurricane
12 damage percentage, which is 76 or 75, we show it's
13 much closer to Mr. Pielke's 87, and the one RMS is
14 much lower.

15 So I remember Ms. Cavanaugh was saying she
16 didn't have a benchmark to support why she gave AIR
17 zero; and here, I think I -- at least from the
18 comparison with the important benchmark, we feel AIR's
19 percentage is much closer to that benchmark. However,
20 that's not my ground to give RMS zero weight. In
21 fact, recognize volatility and uncertainties around
22 the model, I would still recommend a 50 percent weight
23 for RMS model.

24 Q. Ms. Mao, just -- I'm just observing in this
25 exhibit, in the portion at the very top where you

1 essentially recreated Ms. Cavanaugh's table, the
2 Saffir-Simpson category numbers 1, 2, 3, 4, and 5 are
3 a little bit offset to the right?

4 A. Correct. Yes. Sorry about that. Because 1
5 is lined left, the bottom table was on the right, so
6 they're mis- -- a little misaligned.

7 Q. Now, Ms. Mao, are you -- turning back to
8 Ms. Cavanaugh's testimony at page 36, after her
9 Table 14, there at the top of page 36, at line 2, she
10 describes and sets forth material regarding her fourth
11 test.

12 Are you generally familiar with the fourth
13 test where she presented a table on the frequencies of
14 storms there in her testimony from lines 2 through 4
15 on page 36?

16 A. Sorry. Give me a -- page 36; right?

17 Q. This is Ms. Cavanaugh's testimony, which is
18 Exhibit DOI -2.

19 A. Okay. Yes. Yes, I'm there.

20 Q. All right. So looking at the Table 15 she
21 presents there at line 4 --

22 A. Yes.

23 Q. -- this is the Table 15 that Ms. Cavanaugh
24 revised earlier in this hearing, after hearing your
25 testimony and before she gave her testimony; correct?

1 A. Correct.

2 Q. Have you reviewed Ms. Cavanaugh's Table 15-B,
3 which she provided as a revision and presented in --
4 during this hearing?

5 A. Yes.

6 Q. All right. Looking at Ms. Cavanaugh's
7 Table 15-B, do you have an opinion as to whether the
8 information she presents there supports her decision
9 to give the AIR model zero weight and the RMS weight
10 100 percent weight?

11 A. I don't have Table 15-B in front of me.
12 I only have --

13 (Over-speaki ng.)

14 MR. SPIVEY: Just a moment.

15 THE WITNESS: Sure. Yes.

16 MR. SPIVEY: Mr. Friedman, does the
17 witness not have revised 15-B? I have an extra.

18 MR. FRIEDMAN: If you could hand that
19 up to her, that would be great. I'm only aware of
20 where my own is.

21 (Document was handed to the witness.)

22 THE WITNESS: Thank you.

23 Can you repeat your question?

24 MR. SPIVEY: I will.

25 THE WITNESS: Thanks.

1 MR. SPIVEY: Mr. Friedman, let me know
2 when you're ready.

3 MR. FRIEDMAN: Go ahead.

4 MR. SPIVEY: Thank you.

5 BY MR. SPIVEY:

6 Q. Ms. Mao, do you now have before you a copy of
7 Ms. Cavanaugh's Table 15-B?

8 A. Yes.

9 Q. Do you have an opinion as to whether the
10 information she presented in Table 15-B supports her
11 decision to give the AIR model zero percent weight and
12 the RMS model 100 percent weight?

13 A. I -- I don't support Ms. Cavanaugh's
14 selection of weight based on this table because, as
15 I recall, Ms. Cavanaugh discussed but she didn't
16 perform additional tests of these numbers. It looks
17 like she eyeballed a number, and as that consistent
18 with her other selection so she gives a weight.
19 Therefore, based on her Table 15-B, we feel additional
20 statistical testing will be needed to support the
21 weight selection.

22 Q. Have you prepared an exhibit that presents
23 various statistical analyses related to the data in
24 Table 15-B?

25 A. Yes, I have.

1 (Exhibit No. RB-36 was marked for identification.)

2 BY MR. SPIVEY:

3 Q. Do you have before you an exhibit that is
4 marked Exhibit RB-36?

5 A. Yes, I have.

6 Q. Is that the exhibit that you prepared?

7 A. Yes, this is, based on Ms. Cavanaugh's
8 Table 15-B.

9 MR. FRIEDMAN: Your Honor, I'd like to
10 move to strike -- excuse me -- 36. I can -- I don't
11 have the -- if you'd like, I can go through yet more
12 requests. We think this was responsive --

13 MS. FUNDERBURK: Please be sure you're
14 speaking into the microphone.

15 MR. FRIEDMAN: We can go through yet
16 more requests that I believe this would have been
17 responsive to. And it is absolutely the -- I mean,
18 it's including real data that they knew about and she
19 was drawing on as of three weeks before the hearing.
20 There was discovery pending asking for this months
21 before the hearing; and given that discovery, they had
22 an obligation to supplement, at some point, over
23 the -- they got the discov- -- they got our reports
24 on, I believe, September 11th or so, almost -- over
25 three and a half months they had a duty to supplement

1 this. It would have -- and had they supplemented
2 this, we would have been able to actually ask our own
3 witnesses on direct about it. We're now deprived of
4 that.

5 MR. SPIVEY: Once again, your Honor, I
6 think it's very obvious Ms. Cavanaugh's testimony is
7 where these data appear. We didn't have her testimony
8 until -- the original testimony -- until sometime
9 mid-September. We didn't have Table 15-B until after
10 this hearing began because she revised her testimony
11 to include it, and we just cross-examined her on this
12 material this week.

13 MR. FRIEDMAN: If I could explain what
14 this -- first, that's very true. Ms. Cavanaugh,
15 I believe, supplemented this for you the first --
16 I want to say the first week of November. And the
17 reason she had to supplement, as she testified, was
18 that, upon listening to Ms. Mao explain one -- what
19 one of her graphs was actually doing, it prompted
20 Ms. Cavanaugh to say, "Gee, I didn't understand how
21 she explained it the first time" and then to create
22 the new 15-B. We promptly provided it. And the --
23 again, the discovery obligations alone would have
24 required them to supplement this well before 1:30 p.m.
25 yesterday.

1 MR. SPIVEY: Your Honor, I'll simply
2 say I'm not aware of any discovery that would properly
3 identify and point out anything about Exhibit RB-36
4 that we were under an obligation to provide to
5 counsel. This is rebuttal exhibit that's been
6 prepared this week.

7 MS. FUNDERBURK: The objection is
8 overruled.

9 Please proceed with your questioning.

10 BY MR. SPIVEY:

11 Q. Ms. Mao, can you please describe the various
12 statistical analyses that you present in Exhibit RB-36
13 and what the results of those analyses show?

14 A. Sure. In the first page of RB-36, we copied
15 three rows from Ms. Cavanaugh's RB-15-B: that's the
16 "Actual, 1980-2023," "AIR Projected," "RMS Projected."
17 And we also added a row under that that's "Average
18 Projected." So these are the testing we are -- we
19 will be performing.

20 So the first performed is a simple
21 statistical test that is the Sum of Errors analysis.
22 So the formula of the statistics is showed in the
23 first column. So under the "Sum of Errors analysis,"
24 the value on the right is simply AIR minus actual, and
25 also the RMS minus actual and the average minus

1 actual. So we show all those errors. And then "Sum,"
2 those are to the very right column.

3 So based on these first tests, AIR minus
4 actual, that is the smallest number. So in the sum of
5 error analysis, the smallest number means the best.
6 So this is the first test.

7 The second test we call "Sum of Squared
8 Errors Analysis." The formula of that analysis is AIR
9 minus actual to the power of two. So the sum of
10 errors is in the right -- the right column. And in
11 this analysis showed average minus actual is
12 performing the best, because these statistics simply
13 penalize -- if one value is very large, when you
14 square it, it penalizes the very large error. So the
15 second test showing the average performs the best.

16 And there's a third, when we turn to the
17 second page: it's a correlation coefficient. We just
18 used an Excel function to calculate the correlation of
19 the two sets of values: that's actual vs. AIR, actual
20 vs. RMS, actual vs. average, and RMS vs. AIR. So in
21 the statistical sense, anything beyond 80 percent
22 shows significant correlation.

23 So as we can see in the correlation
24 calculation, whether it's AIR, RMS, or average, they
25 all correlated well with actual. So these statistics

1 showing RMS while has the highest correlation, but AIR
2 also has significant correlation with the actual
3 number.

4 So the last test is "Least Square Fit
5 Analysis." It's showing how the -- how these two sets
6 of numbers linearly correlated. And R-squared -- one
7 R-squared close to 1, that means perfect correlation.
8 But anything one R-squared beyond 70 percent, that's
9 also a significant correlation.

10 So, yeah, based on these four testing, we
11 show sometimes AR performed the best, sometimes RMS
12 performed best, and sometimes average performed the
13 best. So there is -- based on these tests, there is
14 no justification to discredit -- to give any model
15 zero weight. In fact, it supported the 50/50 weight
16 we selected.

17 MS. FUNDERBURK: When you say a model
18 performed the best, what would cause you to believe,
19 like, this was a better result than this? What would
20 lead you to that conclusion?

21 THE WITNESS: When we talk about the
22 better -- performed the best, we mean this model -- so
23 the AIR is closest to the actual in this test. This
24 is what we mean. So we performed the four different
25 tests, and the sum shows AR performed the best, in

1 some statistical sense, and RMS performed better in
2 other statistical sense.

3 MS. FUNDERBURK: Thank you.

4 BY MR. SPIVEY:

5 Q. So, then, Ms. Mao, what conclusions do you
6 draw from your analyses of the storm frequencies, as
7 projected by the AIR and RMS models, as compared to
8 the actual average number of storms by Saffir-Simpson
9 intensity?

10 A. So based on my analysis, I believe both
11 models are credible. But I want to also comment that
12 from 19 -- by only looking at 1980 to 2023 -- that's a
13 44-years period -- that period is too short to
14 evaluate the whole spectrum of the frequency.

15 However, even we perform -- even we rely on
16 these numbers alone, it doesn't support
17 Ms. Cavanaugh's selection of zero weight to AIR model
18 and 100 percent to RMS model, because AIR performed
19 better in some tests and RMS performed in other tests;
20 so in that case, we believe the average of two models
21 is the right way.

22 Q. Now, looking again at Ms. Cavanaugh's profile
23 testimony, on page 36 there, she then goes from her
24 Table 15, or her substituted Table 15-B, directly into
25 her fifth test, which she describes beginning at

1 line 5 on page 36.

2 Are you familiar with her testimony
3 regarding that fifth test that she performed?

4 A. Yes. I have reviewed her exhibit that
5 derives these numbers.

6 Q. So looking at her Table 16 on page 36 there
7 at line 7, do you have any comments regarding the
8 number she displays there and the comparison she's
9 making to the actual severities as she has trended
10 them to 2023?

11 A. Yes, I have some observations.

12 By looking at these tables alone, the actual
13 in her table shows \$428 million, and the average AIR
14 between the standard with and without demand search,
15 they are -- the severity of AIR model Cat I and Cat II
16 are around \$390 million. That is 9 percent below the
17 actual in her table.

18 If I look at RMS historical, those are
19 500 -- around \$570 million. That is 150 million
20 higher than actual, so it's actually 30 percent higher
21 than actual.

22 So by simply looking at these numbers,
23 I would say AIR is much closer to the actual than RMS.
24 So again, just based on these numbers alone, I would
25 not just draw the conclusion AIR deserves zero weight.

1 Q. All right. Immediately below her Table 16 on
2 page 36, Ms. Cavanaugh sets out her conclusions from
3 her five tests. Are you familiar with her testimony
4 beginning there at line 8 and beginning with the
5 answer on line 9?

6 A. Yes.

7 Q. Ms. Cavanaugh [sic] and your Honor, I'm going
8 to read that. Question on line 8:

9 "Question: What were your
10 conclusions?

11 "Answer: Based on my review of
12 this analysis, I find that while
13 there is a risk of a
14 high-intensity hurricane to occur
15 in North Carolina, the RMS model
16 more closely reflects the
17 historical frequencies by storm
18 intensity and that the AIR results
19 are not aligned with the
20 historical observations. Further,
21 the severities using the RMS
22 model, while higher, are
23 reasonably aligned with historical
24 losses sustained given the
25 inherent volatility and the

1 severity of these events.
2 Therefore, in my alternative
3 calculations, I place 100 percent
4 weight to the RMS historical model
5 and zero percent weight to the AIR
6 standard model."

7 Ms. Mao, do you have an opinion as to
8 whether Ms. Cavanaugh's conclusions, as she stated
9 them there, are reasonable or appropriate based on the
10 five tests that she had presented immediately prior to
11 stating those conclusions in her testimony?

12 A. Again, I disagree with Ms. Cavanaugh's
13 conclusion. As we work through those five tests,
14 first of all, there's no -- there's no guidelines why
15 these five tests are the adequate tests to be based on
16 when selecting models.

17 And also, when we work through those five
18 tests, and one by one we actually find in each test,
19 while there's a different performance by different
20 models, there is really no clear justification to give
21 AIR model zero weight and give RMS model 100 percent
22 weight.

23 I find Ms. Cavanaugh's judgment is somewhat
24 inconsistent in different testing. Just one example:
25 On Table 12, in this, we believe -- we discuss the

1 trended loss is in- -- is understated; but, however,
2 if you look at the difference between AIR and RMS
3 model, it's between 500 -- if we subtract the AIR --
4 the difference between AIR standard and the RMS
5 standard, it's about 180 million difference. And in
6 that case, she give AIR zero weight and RMS
7 100 percent weight.

8 While in another table -- that's Table 16 --
9 the difference between AIR and RMS is also about -- in
10 the same ballpark, 180, 190, if you subtract 392 from
11 579.

12 So we see the spread between AIR and RMS
13 model in two tables are about the same, but while in
14 one table AIR is closer to the actual, another table
15 AIR is -- RMS is closer to the actual, but in -- when
16 she makes a judgment, she just gives the same
17 weight -- that's zero -- to AIR model, regardless AIR
18 is better or worse for the test.

19 So for that reason, I disagree with
20 Ms. Cavanaugh's selection of weighting.

21 Q. And through throughout these various tests,
22 Ms. Cavanaugh uses various time periods; but do you
23 view those time periods as being long enough to
24 provide -- or prepare a valid analysis to compare to
25 these models?

1 A. In my opinion, that's not enough. In some
2 tests, she used 20 years of loss, and in other tests,
3 she used 40 years of frequency or 60 years of
4 frequency; but none of that is a long enough period,
5 because in those periods it's well likely that we miss
6 a high return period loss. And in 60-years period,
7 the probability of seeing a one-in-thousand event is
8 only about 6 percent.

9 Q. So it's true that it's much more likely,
10 during this short period of time, that we would not
11 see those events than that we would see those events
12 occur?

13 A. That's correct. It's -- yeah. For example,
14 in the 40-years period, there is about 4 percent of a
15 chance we see a one-in-thousand-year event, and there
16 is about 96 percent of chance we don't see that event.

17 Q. And that means, if I'm understanding the
18 statistics correctly, that it's 24 times more likely
19 that you would not see that event occur during that
20 time period than that you would see it occur?

21 A. That's correct.

22 Q. Ms. Mao, would you now turn to page 50 in
23 Ms. Cavanaugh's prefile testimony.

24 A. Yes.

25 Q. All right. There at line 8, she begins her

1 testimony regarding the methodology she used to
2 estimate the net cost of reinsurance. Do you see
3 that?

4 A. Yes.

5 Q. Are you familiar with Ms. Cavanaugh's
6 testimony to the effect that she used insurance-linked
7 securities data to approximate the net cost of
8 reinsurance?

9 A. Yes.

10 Q. And are you familiar with her testimony to
11 the effect that you used insurance-linked securities
12 data in your analysis of the compensation for
13 assessment risk?

14 A. Yes.

15 Q. Look, if you would, at line 18 on page 50 of
16 Ms. Cavanaugh's testimony. I'm going to read the
17 portion I want you to focus on, beginning at line 18
18 with "I note that..." (As read):

19 "I note that, while Ms. Mao relies
20 on this data for the determination
21 of the compensation for assessment
22 risk, she does not use it for
23 estimating the cost of
24 reinsurance. Given her statements
25 regarding the appropriateness of

1 this data, and that it is similar
2 to costs for reinsurance, it is
3 unclear why she does not use this
4 data in her analysis of the net
5 cost of reinsurance."

6 Do you see that testimony, Ms. Mao?

7 A. Yes.

8 Q. Could you please explain why you did not use
9 insurance-linked securities data in your analysis of
10 the net cost of reinsurance?

11 A. Sure. As I explained earlier, reinsurance
12 and CAT bond, they are two different products. Even
13 though the payout of these two products are similar,
14 but the pricing of the reinsurance and the pricing of
15 the CAT bond are very different processes.

16 And the reinsurance accounts for the
17 majority of the risk transfer capital; so it accounts
18 for about 84/85 percent of global risk transfer
19 capital, while the CAT bond only accounts for
20 6 percent of the overall risk transfer capital. So we
21 believe, for reinsurance pricing, when the data is
22 available, it's better to use the reinsurance data to
23 price reinsurance.

24 And I also want to describe the major
25 differences in the reinsurance pricing and the CAT

1 bond pricing.

2 Reinsurance pricing starts with loss: So we
3 look at the loss, the probability of the loss, and the
4 standard deviation of the loss, then we come up with a
5 pricing curve. So this is reinsurance pricing, it
6 starts from loss to the rate, while the CAT bond is
7 based on probability of the default. So the CAT bond
8 is structured to mimic a high-yield bond -- high-yield
9 bond in the marketplace.

10 So, for example, the CAT bond -- if the CAT
11 bond has five -- if the -- if the high-yield bond has
12 5 percent probability of default, and the CAT bond --
13 sorry, the high-yield bond pays 6 percent coupon, and
14 that is one which structures the CAT bond, we try to
15 make the event trigger the default at 5 percent of the
16 probability, and then we will price the CAT bond
17 similar to that high-yield bond as a 6 percent return.

18 That is -- CAT bond pricing is starting from
19 the probability of default, and the loss is only
20 loosely correlated to the final pricing.

21 So -- and there's a third major difference
22 in the reinsurance and the CAT bond, is reinsurance --
23 investors in reinsurance are the long-term investors,
24 and while the CAT bond investors are -- tend to be
25 those hedge fund/pension fund; those are more

1 speculative investors. So after an event, they tend
2 to just flee from the -- from the market. So this is
3 why CAT bond is fluctuating more than the reinsurance.

4 So this is also the reason reinsurance and
5 the CAT bond, although they are moving to the same
6 direction, they are not always the same. And 2024
7 happened to be one year these two pricing are close,
8 but in other years, these two pricing -- these two
9 products could price at a very different rate. So
10 this is another reason we want to rely on reinsurance
11 data to price reinsurance.

12 Q. And in your experience, does using
13 reinsurance data more accurately price the cost of the
14 reinsurance?

15 A. That's correct. In -- yes. The reinsurance
16 data would price accurately of the reinsurance. And,
17 in fact, in rate filings -- in almost all rate filings
18 I see where reinsurance treaty is available, insurers
19 use the most current reinsurance pricing in their rate
20 filings.

21 Q. Ms. Cavanaugh used the -- strike that.

22 Let me just note, insurance-linked
23 securities data are sometimes referred to as "ILS
24 data"; correct?

25 A. Correct.

1 Q. That's short acronym for that?

2 A. Yes.

3 Q. All right. So Ms. Cavanaugh used ILS data
4 from a longer-term period, did she not?

5 A. Yes, she did.

6 Q. Do you recall what period of time she used?

7 A. She used the period of time from 2010 to
8 2022: about 13 years of data.

9 Q. And did she use the ILS data over that entire
10 historical period to fit a curve that she used to
11 determine the pricing in her net cost of reinsurance
12 analysis?

13 A. Yes, she did.

14 Q. Do you have an opinion on whether using
15 long-term ILS data in that manner, for the purpose of
16 determining the net cost of reinsurance for use in
17 this case, is appropriate?

18 A. My opinion is it's not appropriate.

19 First of all, I think using the CAT bond
20 data to price reinsurance is inappropriate, given --
21 even given if we use the CAT bond data using the
22 long-term period weighted average is inappropriate.

23 Q. And has the price of reinsurance fluctuated
24 over the time period that Ms. Cavanaugh utilized?

25 A. Yes, the reinsurance price fluctuated

1 significantly in the past few years. And, in fact,
2 the period between 2020 to 2023 are the most volatile
3 reinsurance market I have experienced in my entire
4 career.

5 Q. Now, Ms. Mao, is it also correct that in
6 determining her net cost of reinsurance provision,
7 Ms. Cavanaugh gave 100 percent weight to the RMS model
8 and zero percent weight to the AIR model for the same
9 reasons that she relied on the RMS model solely for
10 determining her model losses?

11 A. That's correct.

12 Q. Is it also correct, then, that Ms. Cavanaugh
13 made an additional change in determining her net cost
14 of reinsurance, which was to rely on the results from
15 the long-term catastrophe model -- the long-term RMS
16 model -- rather than the near-term model for RMS?

17 A. That's correct.

18 Q. And she states that at her testimony on
19 page 51, lines 11 through 14, does she not?

20 A. Yes, she did.

21 Q. Do you have an opinion on whether
22 Ms. Cavanaugh's decisions to give 100 percent weight
23 to the RMS model in developing her net cost of
24 reinsurance provision is appropriate, and to use the
25 RMS long-term model instead of the near-term model,

1 which she called the WSST model in her testimony -- to
2 make those two decisions in developing her net cost of
3 reinsurance provision -- do you have an opinion as to
4 whether those are appropriate?

5 A. Sure. My opinions are those are not
6 appropriate for two reasons.

7 First, her test doesn't justify those
8 weighting, as we already discussed.

9 Second, those are not models used to
10 determine price by reinsurers in the marketplace. So
11 reinsurers use medium-term and the near-term model to
12 price reinsurance. So, therefore, I feel her
13 selection of models are inappropriate.

14 Q. And by using the longer-term period for the
15 net cost of -- I mean longer-term period for the ILS
16 data that she relied on in determining her net cost of
17 reinsurance provision, is that reflective of what
18 happens in the reinsurance market?

19 A. No, that's not reflective of what happens in
20 the reinsurance market, because when you fit 15 --
21 13 years curve and derive the parameter from that
22 curve, that means the older years will carry some
23 weight in the selection of your parameter. And the
24 reinsurance market is very reactive, so therefore the
25 current parameter is not -- is not equal to what she

1 selected based on her methodology.

2 MR. SPIVEY: May I have just a moment
3 to locate a transcript reference --

4 MS. FUNDERBURK: Yes.

5 Ms. Mao, you've been seated up there for
6 about an hour and 15 minutes. Are you still
7 comfortable? Do you need a break?

8 THE WITNESS: I'm good, thank you.

9 MS. FUNDERBURK: Okay. Thank you.

10 MR. SPIVEY: I want to point the
11 witness to a particular transcript reference. How are
12 we doing on the screen today?

13 I want to go to transcript XV, which was
14 December the 2nd, in the afternoon.

15 MS. FUNDERBURK: Are you able to pull
16 that up electronically? If you can pull it
17 electronically --

18 (Over-speaking.)

19 MR. SPIVEY: I'm just going to point to
20 one particular passage.

21 MS. FUNDERBURK: Oh, it looks like
22 Mr. Beverly has it.

23 MR. BEVERLY: I will have it soon, your
24 Honor.

25 MS. FUNDERBURK: Okay.

1 MR. SPIVEY: We're going in that
2 particular transcript to page 2310.

3 MR. FRIEDMAN: Is that going to be on
4 the --

5 MR. SPIVEY: We're getting it on the
6 screen.

7 MR. FRIEDMAN: Okay. Thank you.

8 BY MR. SPIVEY:

9 Q. Ms. Mao, is the transcript on the screen
10 before you now --

11 A. Yes.

12 Q. -- showing page 2310?

13 A. Mm-hmm.

14 Q. Please look to line 2 -- beginning at line 2.

15 And I'm going to read. (As read):

16 "Question: Do you agree that the AIR
17 model " --

18 I'm sorry, let me stop. This was a question
19 that I asked Ms. Cavanaugh.

20 "Question: Do you agree that the AIR
21 model -- models -- and RMS models
22 are the two most widely used
23 catastrophe models for hurricane
24 exposure in the United States?

25 "Answer: Yes.

1 "Question: Do you have any basis for
2 believing that the reinsurance
3 companies rely solely on the RMS
4 models when they negotiate
5 reinsurance prices with companies
6 that write homeowners' insurance
7 in North Carolina?

8 "Answer: Yeah. I thought about
9 this is lot, you know, whether or
10 not to use a blend of AIR and RMS
11 because oftentimes that is what's
12 used by reinsurers. And,
13 ultimately, I thought about the
14 negotiation process between
15 insurers and reinsurers. And if
16 there was this fictitious -- you
17 know, this hypothetical one,
18 right, that was negotiating the
19 reinsurance, I would expect that,
20 you know, the -- that hypothetical
21 one to come to the reinsurers and
22 say, you know, basically, the --
23 the analysis -- some -- some
24 similar analysis probably way more
25 involved, but some similar

1 analysis that I had done, which
2 shows that, you know, RMS is -- is
3 kind of in the middle of the
4 different models and that -- that
5 it more closely is aligned with
6 historical losses."

7 Then continuing over to page 2311,
8 (as read):

9 "And so and this is what I've seen
10 in my experience of being on the
11 reinsurer side. Insurers will,
12 you know, really try to state
13 their case to why their, you know,
14 the expected losses are lower than
15 what reinsurer might come up with.
16 So in this case, you know, I --
17 I would expect the insurers to do
18 that, you know, if they were this
19 hypothetical one just writing
20 business in North Carolina and --
21 and that then, you know, they --
22 they'd be able to, you know, place
23 more reliance on RMS data."

24 Do you recall that testimony?

25 A. Yes.

1 Q. And you understand her testimony there to be
2 suggesting that a company could explain in its
3 reinsurance negotiations that the RMS long-term model
4 better shows that the company's expected losses are
5 lower than what the reinsurer might come up with?

6 A. Yes, I saw that.

7 Q. Have you had experience in the real-world
8 marketplace where insurers and reinsurers negotiate
9 the prices of reinsurance?

10 A. Yes, I participated in those meetings, both
11 as a reinsurance buyer at State Farm and also as a
12 reinsurance broker, so in the room. Arranged meetings
13 for our clients to meet with reinsurer to discuss
14 technical and the pricing.

15 Q. So what is your opinion of Ms. Cavanaugh's
16 suggestion that a company could convince a reinsurer
17 that the RMS long-term model is what they should rely
18 on in determining the price of reinsurance?

19 A. First of all, that scenario never happened.
20 Ever since AIR Warm Sea Surface Temperature and the
21 RMS medium-term view model was introduced to the
22 marketplace in around 2006/2007, the reinsurance has
23 been consistently used the medium-term view and the
24 Warm Sea Surface Temperature view in their pricing.

25 Second, that is also -- for a size of this

1 hypothetical company -- it purchased about 14 billion
2 capacity in reinsurance -- based on my experience,
3 there will be about 40-50 different reinsurers
4 participate on this reinsurance panel; so it is
5 impossible to convince all 50 reinsurers to agree to
6 only use RMS long-term model in the reinsurance
7 pricing.

8 MR. BEVERLY: May we have one moment,
9 your Honor?

10 MS. FUNDERBURK: Yes.

11 BY MR. SPIVEY:

12 Q. Ms. Mao, if you would look again at the
13 transcript of Ms. Cavanaugh's testimony there at
14 page 2311, at line 12, where I ask her about her
15 experience. The question I asked her there was
16 (as read):

17 "Question: So your testimony earlier
18 is that you've never been involved
19 in that particular process of that
20 negotiation, have you?"

21 And her answer:

22 "Answer: Not for a property cat,
23 but I have, you know, been
24 involved in reinsurance pricing
25 for other treaties."

1 Given Ms. Cavanaugh's testimony there, do
2 you believe she properly understands what the
3 negotiation process is for property cat excess of loss
4 reinsurance?

5 A. I don't believe so. However, I am not
6 familiar with the pricing that she was talking about,
7 so I don't have enough knowledge to comment the
8 difference. But based on my knowledge about how
9 property cat reinsurance negotiation process, her
10 discussion was incorrect.

11 Q. Now, Ms. Mao, referring back to the questions
12 I was asking you just a few moments ago about
13 Ms. Cavanaugh's use of long-term ILS data for the
14 purpose of determining the net cost of reinsurance,
15 have you prepared an exhibit that will help
16 demonstrate your opinions about that matter?

17 A. Yes, I have.

18 (Exhibit No. RB-37 was marked for identification.)

19 BY MR. SPIVEY:

20 Q. Do you have there before you an exhibit
21 marked Exhibit RB-37?

22 A. Yes.

23 Q. Is that an exhibit that you have prepared to
24 help demonstrate your testimony?

25 A. Yes.

1 Q. Can you please explain what you are
2 presenting on Exhibit RB-37?

3 A. Sure. On the RB-37, the top of the exhibit
4 includes a graph that come out of Ms. Cavanaugh's data
5 source, the Artemis CAT bond pricing curve that she
6 listed this source in her testimony.

7 And this graph shows the average spread --
8 the average expected loss and the average spread of
9 the CAT bond by year since 1997. And I calculated the
10 profit multiple. So column 4 is profit multiple that
11 we used. That is the most relevant metric in the
12 calculation of reinsurance and the car [verbatim]. So
13 basically, it is what is the profit margin divided by
14 the expected loss for that year.

15 So in that table, I calculated the data in
16 two groups. One group is 2010 through 2022: That's
17 the years that Ms. Cavanaugh used to calculate her net
18 cost of reinsurance. And then I also looked at 2023
19 and 2024 and look at the average of those two years
20 because those are more reflective of the current
21 market condition.

22 So we can look at the last two numbers in
23 the bottom -- bottom two rows, the right two numbers.
24 We can see the average between 2010 and 2022, the
25 profit multiple is 1.91; while the average between

1 2023 and 2024 -- the average is 3.33. So we can --
2 just by looking at these two numbers, these will --
3 these -- the 2023 and the 2024 are almost 30 -- more
4 than 30 percent higher than Ms. Cavanaugh's number.
5 It's even more than -- it's 60 percent, actually.

6 Q. Ms. Mao, does that indicate that the current
7 price of -- or even, using CAT bonds, the current
8 pricing of CAT bonds, in the most recent data, is that
9 30 or 40 percent number higher, that you just
10 mentioned, than the numbers that Ms. Cavanaugh
11 utilized in her testimony?

12 A. That's correct. The -- yeah. It's just
13 showing the profit multiple in 2023 and 2024 is much
14 higher than the average of the 2010 through 2022.

15 However, I want to acknowledge here that the
16 1.91 is not what Ms. Cavanaugh used, because she used
17 the curve fitting. So she didn't use a simple
18 average. And there's a simple average here where just
19 is showing for demonstration purpose that -- just
20 showing the current year is much higher than the
21 long-term average.

22 Q. Ms. Mao, have you prepared an exhibit that
23 will help demonstrate the effects of Ms. Cavanaugh's
24 decision to give the RMS model 100 percent weight and
25 to use the long-term ILS data to approximate the price

1 of reinsurance?

2 A. Yes, I have.

3 (Exhibit No. RB-38 was marked for identification.)

4 BY MR. SPIVEY:

5 Q. Do you have before you there an exhibit
6 marked Exhibit RB-38?

7 A. Yes.

8 Q. And is that the exhibit that you just
9 indicated you prepared?

10 A. Yes.

11 Q. Would you please explain what this exhibit
12 shows?

13 A. Sure. I want to focus on the graph on the
14 top of this page. So you see two black bars in that
15 chart. The left black bar is Ms. Cavanaugh's net cost
16 of reinsurance dollars, and the right bar -- the right
17 black bar, 1.159 billion, is NCRB's net cost of
18 reinsurance dollars in the filing.

19 And in this chart, I want to demonstrate the
20 difference between two methodologies, the CAT bond
21 versus reinsurance, and also the various assumptions
22 that drives the difference. So this is a wonderful
23 chart that quantifies what each component drives the
24 difference in our estimate.

25 So go to the "Model Selection." As I

1 discussed, Ms. Cavanaugh used the 100 percent RMS
2 long-term, and we used average of the medium-term Warm
3 Sea Surface Temperature; and that assumption will
4 result in 297 million additional net cost of
5 reinsurance. That's the first green bar in the chart.
6 So if we change that assumption to Rate Bureau's
7 assumption, that would result in 297 additional net
8 cost of reinsurance dollars.

9 Then we go to "Number of Years." So we
10 replace Ms. Cavanaugh's average profit multiple with
11 the most current year's profit multiple; and that
12 assumption drives \$245 million of difference.

13 So you can see that really the difference
14 between our two calculations, if we look at the
15 methodology alone, that is the little blue bar. So
16 for 2024, the methodology really doesn't drive the
17 major difference between -- because the CAT bond
18 pricing and the reinsurance pricing are very similar.
19 However, the major drivers of our differences are the
20 selection of models and the number of years in the
21 calculation.

22 And the Bureau's selection of the
23 assumptions reflect the actual market condition, the
24 reinsurance selection of models and their use of the
25 current year data.

1 And the bottom of the chart are all the
2 calculations goes into this chart, and that also
3 included the source of our profit multiple. So when
4 you see the bottom table shows if we have the
5 consistent assumptions as the NCRB made, our
6 difference is actually within 5 percent.

7 MR. SPIVEY: Your Honor, I'm going to
8 go to a different topic now. If it would be
9 satisfactory, it might be a good time to take a short
10 morning break.

11 MS. FUNDERBURK: Okay. Thank you.
12 Let's go ahead and take a break.

13 Let's do ten minutes. It is currently 10:30
14 by the clock in the courtroom. We will be in recess
15 until 10:40 by the clock in the courtroom. Thank you,
16 Counsel, we're in recess.

17 (Recess taken from 10:30 a.m. to 10:41 a.m.)

18 MS. FUNDERBURK: Counsel, we're back on
19 the record. Is there anything we need to address
20 before Mr. Spivey's examination of Ms. Mao continues?

21 MR. FRIEDMAN: Just -- well, I'll just
22 say that Mr. Spivey informed me he will be through
23 with Ms. Mao within half an hour or so. We will not
24 be ready -- so the amount of data that has been -- or
25 the amount of testimony that's even been given in the

1 last hour and a half will take days for me to figure
2 out with my experts and come up with cross.

3 And then also, there is going to be overlap
4 data between what they have that's stated they're
5 going to put in through Mr. Ericksen, and Mr. Ericksen
6 is largely going to talk, as I understand it,
7 additional analysis of hurricane losses. So I guess
8 what I'm thinking is that we are -- it would be
9 prejudicial to us to force us to begin cross of
10 Ms. Mao today, so my thought was that perhaps --

11 MS. FUNDERBURK: Are you saying you're
12 going to need days between each of their rebuttal
13 witnesses to prepare your cross-examination?

14 MR. FRIEDMAN: That's what I'm trying
15 to avoid. So my suggestion was perhaps that after
16 Ms. Mao, the -- Mr. Ericksen go ahead and be called,
17 because he's testifying about comparable things, so
18 then at least we would have two of their direct to
19 chew over and begin responding to by next Thursday.

20 But I'm told by DOI staff and by my outside
21 experts that even the stuff that's come in this
22 morning will take a great deal of reconsideration and
23 discussion.

24 So I don't know -- I was proposing that they
25 simply put on Mr. Ericksen, have him particularly --

1 we have -- their proposed Exhibit 40 is exactly
2 something he testified to on his direct that he had
3 done and was direct- -- that is a big comparison of
4 actual hurricane loss to modeled results. He
5 acknowledged that for the first time on direct -- on
6 cross, rather. It was directly responsive to our data
7 requests and other discovery requests. It's only
8 being provided for the first time now.

9 So I think putting on Dr. -- Mr. Ericksen
10 after Ms. Mao is the most efficient way to make sure
11 that we are able to, at least for those two, respond
12 to their direct on rebuttal.

13 MS. FUNDERBURK: Mr. Spivey, response?

14 MR. SPIVEY: First of all, your Honor,
15 we've got a witness on the stand we haven't finished,
16 and he's talking about another witness after that.
17 I think it's a little premature.

18 But we're in the rebuttal phase of this case
19 now, and in my mind, the thought that we're going to
20 break for days between direct and cross is certainly
21 not in accordance with any experience I've had in any
22 kind of matter, much less these rate cases.

23 We're responding to and rebutting the
24 material they presented. If it causes them to
25 question and need to reevaluate what they did, you

1 know, that's not something I can address. But I don't
2 know that it's appropriate to expect to delay this
3 proceeding in the manner which I'm hearing that
4 Mr. Friedman is suggesting for that purpose.

5 MR. FRIEDMAN: So, your Honor, first of
6 all, obviously, we've only got one day of hearings
7 scheduled next week, and I'm not suggesting delaying
8 it. What I am suggesting -- and perhaps this would be
9 best as to all four of their witnesses -- is that all
10 of their direct be given and then we be given
11 sufficient time -- and we'll be working on it as they
12 testify -- to prepare our cross of those four.

13 I know that's out of order, but there is
14 a lot. These are actuaries whose analyses completely
15 depend on data and perspective. In this case, their
16 obligation -- I think some of what they're talking
17 about should have been included in their original file
18 testimony ten months ago.

19 It's -- I don't -- there's so much packed in
20 to what she said this morning that we can't digest it.
21 And then the same thing is going to happen with
22 Mr. Eriksen and clearly Dr. Zanjani and most likely
23 Mr. Anderson.

24 So I suggest they put on -- be allowed to
25 put on all their direct witnesses in whatever time

1 that takes them, and we will, as every one them of
2 goes along and we get transcripts, be preparing the
3 cross.

4 MR. SPIVEY: It would be a highly
5 unusual process, in my experience, your Honor.

6 I don't know what an appropriate --

7 MR. FRIEDMAN: Given our --

8 MR. SPIVEY: -- procedure would be
9 there.

10 MS. FUNDERBURK: I'm going to take the
11 issue of how long you're going to need for preparation
12 under advisement. I'm not inclined to do three
13 directs and then three cross. It is an unusual step.
14 It's just not the typical process for a hearing. And
15 honestly, it's easier for me to hear cross-examination
16 when witness testimony is fresh, and I think that's
17 why it's the normal way of conducting a hearing.

18 We'll see where we get with Ms. Mao, and
19 we'll reevaluate the issue of when cross is going to
20 be. I anticipate we'll have at least an opportunity
21 for quite a substantial break today for preparation so
22 that cross-examination can at least commence.

23 I expected that we would have an order
24 finalized within the next couple of weeks. We are
25 significantly past where we originally anticipated we

1 would be.

2 Now, Mr. Spivey, the questions that I'm
3 going to have for Ms. Mao do relate a lot to
4 reinsurance. I don't want to break your flow. Would
5 you prefer that I go ahead and ask her some things
6 about reinsurance, or would you prefer that I wait
7 until you've concluded all of your questions?

8 MR. SPIVEY: Well, your Honor, I'm
9 going to -- I have a few more questions for her about
10 reinsurance, and what I'm going to do -- my thought,
11 perhaps, is that -- I mean, you can certainly ask them
12 when you choose to, but they won't be out of -- it
13 won't be changing the topics remarkably if I go first
14 and then you ask your questions.

15 MS. FUNDERBURK: I'm going to let you
16 go -- since you've got some more on reinsurance, I'm
17 going to go ahead and let you complete reinsurance,
18 because there's always the possibility that some of my
19 questions could get answered as you're doing rebuttal.
20 I just don't want to interrupt your flow on subjects
21 by interrupting.

22 So let's go ahead and resume. When you
23 complete, I anticipate I'll have a few questions for
24 Ms. Mao, and then we'll reevaluate the issue of
25 scheduling of cross-examination. Please proceed.

1 MR. SPIVEY: Okay. Thank you.

2 BY MR. SPIVEY:

3 Q. Ms. Mao, can you get you before you there --
4 I hope it's there before you -- Mr. Schwartz's profile
5 testimony that is marked Exhibit DOI-1 in this case.

6 MS. FUNDERBURK: Are you referring to
7 the original or the updated?

8 MR. SPIVEY: Quite frankly, I'm working
9 from the original.

10 MS. FUNDERBURK: Okay.

11 BY MR. SPIVEY:

12 Q. Ms. Mao, Mr. Schwartz also used historical
13 data in determining the net cost of reinsurance that
14 he recommends, did he not?

15 A. Yes, he did.

16 Q. And I'll point you to his pretrial testimony,
17 which we just mentioned is Exhibit DOI-1. On page 76
18 in the original version, at line 41, he asked the
19 question (as read):

20 "Question: Can you explain the
21 method you used to calculate a
22 value for the net cost of
23 reinsurance?

24 "Answer: Yes. I reviewed the
25 actual historical net cost of

1 reinsurance for homeowners
2 insurance for the insurance
3 industry as a whole. "

4 Do you recall that testimony?

5 A. Yes.

6 Q. He then goes on to describe the testimony he
7 used, continuing below there. Is it correct that he
8 used historical net cost of reinsurance data going all
9 the way back to 1980?

10 A. Yes.

11 Q. And what -- is that a period of 44 years?

12 A. Yes.

13 Q. Do you have an opinion regarding whether
14 using a long-term historical average for the net cost
15 of reinsurance, as Mr. Schwartz has done, is
16 appropriate for determining the net -- the appropriate
17 net cost of reinsurance in this case?

18 A. My opinion is that this methodology is not
19 appropriate.

20 First of all, as we already discussed, the
21 long-term history is not proper for reinsurance
22 pricing because reinsurance pricing fluctuates a lot
23 over -- year after year.

24 And also, the period of time using the
25 actual is also not appropriate, because this is for

1 the same reason reinsurance protects a volatile
2 catastrophe, for the same reason catastrophe is using
3 model because of the underlying volatility, and
4 reinsurance, for the same reason, should not be based
5 on the actual ceded reinsurance loss.

6 Q. All right. So what is your understanding of
7 the actual historical data that Mr. Schwartz did use?

8 A. He used the homeowner data for the entire
9 United States.

10 Q. Do you have an opinion as to whether it is
11 appropriate to determine the net cost of reinsurance
12 provision for use in this case by relying on net cost
13 of reinsurance data for homeowners insurance for the
14 entire United States?

15 A. I think it's inappropriate because his
16 methodology doesn't break by state, so his methodology
17 would result in the same net cost of reinsurance
18 provision for all the states in the United States. So
19 whether it's a high-risk state like Florida, Texas,
20 North Carolina, or a low-risk state like North Dakota
21 or Wisconsin, so his methodology would give the same
22 net cost of reinsurance for all those states. It's
23 not North Carolina-specific.

24 Q. And how does North Carolina's risk for
25 catastrophe -- catastrophic events -- hurricanes --

1 compare to the risk across the United States?

2 A. I believe North Carolina is not the highest,
3 it's not Florida; however, it's above the average of
4 the actual -- of the catastrophe level in the
5 United States.

6 MR. FRIEDMAN: Your Honor, I'm going to
7 object here. We asked her on cross repeatedly about
8 whether she had any actual data that she could reveal
9 about any cost of the net in North Carolina, and in
10 response to numerous questions she said, one, "Well,
11 we may have some regional data," but she could not
12 identify how much of those -- that regional data
13 represented Aon clients in North Carolina; she said,
14 two, that she didn't know about anybody's real
15 premiums in North Carolina besides these unidentified
16 Aon clients; and that, three, she could -- even if she
17 knew about the other costs for other -- for other
18 insurers in North Carolina, namely the member
19 companies, that she assumed that would be proprietary;
20 and then four, as to the Aon clients that she was only
21 certain were at least buying reinsurance in the
22 region, she could not tell me the names or the numbers
23 or the costs.

24 She's now, right -- as we begin, is
25 testifying about what the real costs for premiums are

1 in North Carolina, exactly what she refused to give us
2 and what we have asked for in discovery and never got.

3 MS. FUNDERBURK: Mr. Spivey?

4 MR. SPIVEY: First of all, I disagree a
5 great deal with the characterization that Mr. Friedman
6 just placed on Ms. Mao's previous testimony.

7 More importantly, I haven't asked her about
8 pricing. I asked her about the risk and the relative
9 risk of North Carolina compared to the entire
10 United States. That was what my question was about
11 there.

12 MR. FRIEDMAN: That certainly clarifies
13 some. I'm still concerned about her getting into the
14 actual costs, but I'll withdraw the objection.

15 MS. FUNDERBURK: Thank you.

16 Please proceed, Mr. Spivey.

17 BY MR. SPIVEY:

18 Q. Ms. Mao, is Mr. Schwartz's methodology for
19 determining the net cost of reinsurance specific to
20 North Carolina?

21 A. No, it's not. In my opinion, if a
22 methodology gives you the same net cost of reinsurance
23 for Florida and for Illinois, then that methodology is
24 not reliable.

25 It -- North Carolina's -- I want to clarify

1 also, NCRB -- the Bureau's methodology is based on
2 North Carolina's loss, so we will derive North
3 Carolina-specific reinsurance costs based on North
4 Carolina exposure and based on the market pricing
5 curve for the region.

6 MR. FRIEDMAN: She's talking again
7 about cost, your Honor. That is exactly what she
8 wouldn't tell us -- cost being the actual premium
9 dollars.

10 MS. FUNDERBURK: Response to,
11 I presume, an objection of Mr. Spivey?

12 MR. SPIVEY: Again, your Honor, I think
13 Ms. Mao's testimony as just given is completely
14 consistent with what she's testified to previously in
15 this case. Again, she didn't talk about -- I mean,
16 she's talking about how she priced it for North
17 Carolina using actual North Carolina pricing.

18 THE WITNESS: Yes. We --

19 MS. FUNDERBURK: Just --

20 THE WITNESS: I'm sorry.

21 MS. FUNDERBURK: Just a moment. Let me
22 complete with counsel.

23 Mr. Friedman, to the extent you have
24 concerns that Ms. Mao's testimony has not been
25 consistent, that would appear to me to be something

1 for you to raise later as to credibility of a witness,
2 if that is the argument that you're making, or the
3 reliability of things that you have been provided.

4 As to the extent of her testimony, today, in
5 providing her rebuttal testimony, I'm going to hear
6 the line of questioning that Mr. Spivey is presenting.

7 Your objection is overruled. Thank you.

8 Please proceed, Mr. Spivey.

9 MR. SPIVEY: Thank you.

10 BY MR. SPIVEY:

11 Q. Now, Ms. Mao, a couple of general questions.

12 Does the net cost of reinsurance analysis
13 and the resulting net cost of reinsurance provision
14 that the Rate Bureau included in this homeowners
15 insurance rate filing consider the amounts to be paid
16 to reinsurers?

17 A. Yes. Again, it derives from the actual
18 market pricing curve. So we use North
19 Carolina-specific loss, and based on that curve, we
20 derive what the market price would have been if we
21 have that hypothetical North Carolina aggregated
22 company.

23 Q. And does the analysis and the resulting net
24 cost of reinsurance provision in this case, that the
25 Rate Bureau included in its filing, consider the

1 ceding commissions paid or to be paid to insurers by
2 reinsurers?

3 A. In our analysis, we have placeholder for
4 ceding commission. However, for this specific
5 analysis, it's catastrophe reinsurance. Excess of
6 reinsurance doesn't have ceding commission; so,
7 therefore, for this specific analysis, ceding
8 commission is assumed to be zero.

9 Q. And is that because for the specific kind of
10 reinsurance that we're talking about here for
11 catastrophe reinsurance for the exposure to hurricane
12 loss in North Carolina, ceding commission is typically
13 not applicable in those treaties?

14 A. That's correct. Ceding commission is not
15 applicable in excess of loss reinsurance treaties.

16 Q. Does the analysis that's been performed here
17 for the net cost of reinsurance by the Rate Bureau,
18 and the resulting provision in this filing, consider
19 the expected reinsurance recoveries?

20 A. Yes, it does.

21 Q. And does the analysis and the provision in
22 this filing consider North Carolina's exposure to
23 catastrophic events relative to other states'
24 exposure?

25 A. It used the Bureau's -- North Carolina

1 Bureau's exposure to derive the catastrophe loss.

2 MR. SPIVEY: Your Honor, that concludes
3 my questions on redirect.

4 MS. FUNDERBURK: Thank you, Mr. Spivey.

5 Now, Ms. Mao, as I mentioned, I have some
6 questions for you.

7 I'm going to ask the Rate Bureau if you
8 could put one of your exhibits on the screen for me.
9 The questions I'm going to have for Ms. Mao relate to
10 Rate Bureau 13 and 14. If you could go ahead and put
11 13 on.

12 And, Madam Clerk, if you could circulate
13 that, I would appreciate it.

14 MR. SPIVEY: Your Honor just so I make
15 sure I'm in the right place, are you talking about
16 RB-13.

17 MS. FUNDERBURK: Correct. And I may
18 end up having some questions about RB-14 as well, but
19 I'd like to start with 13.

20 Thank you. And are both of you ready to
21 proceed?

22 MR. SPIVEY: Yes.

23 MS. FUNDERBURK: Good.

24

25

1 EXAMINATION BY THE HEARING OFFICER

2 BY MS. FUNDERBURK:

3 Q. So, Ms. Mao, as I said, I'm going to have
4 some questions about reinsurance, some of them in
5 general. I apologize if I ask inartfully; my
6 background is in the law and not actuarial science.

7 As I review some of the materials,
8 particularly looking at calculations for reinsurance,
9 one of the questions I have is -- and you've done a
10 lot of work in determining what the recommended or
11 what the expected amount of reinsurance that would be
12 appropriate would be for the hypothetical one?

13 A. Yes.

14 Q. I'm curious how that translates to individual
15 insurers. Like, for instance, as a consumer, I make a
16 decision how much insurance I am going to purchase
17 individually, after consultation with my insurance
18 agent. As you can imagine, based on what I do,
19 I probably have a little too much. But how does --
20 how does the determination for an individual insurer
21 to make a purchase and incur the expense of
22 reinsurance -- how does that translate from the work
23 that you've done for the hypothetical one?

24 How are they making those determinations?
25 Are they purchasing insurance -- reinsurance to the

1 same amount that you would recommend the hypothetical
2 one would purchase that?

3 A. Sure. When we work with individual insurance
4 companies, so we want to understand how much surplus
5 they have and what is -- what is their internal risk
6 management, the risk appetite and the risk tolerance,
7 and also what is company's strategy to get a rating.
8 For example, if they want to be A.M. Best rated, that
9 means they need to buy more reinsurance because they
10 need to sustain the stress test by A.M. Best, which
11 is -- have a higher standard than mainly the Demotech
12 rating agency.

13 So when we -- when we suggest -- actually,
14 ultimately, the decision is based on insurance
15 company. So based on how much surplus they have and
16 based on -- then we structure the reinsurance and we
17 conduct the rating agency test and tell them that
18 after those stress tests, how much reinsurance you
19 need to buy in order to maintain, for example, an
20 A-plus or A-minus rating, or how much reinsurance you
21 need to buy to maintain a Demotech rating. So Aon
22 have these conversations and help determine what is
23 attaching and what is exhaustion of your reinsurance.

24 Then after that, we will -- because we will
25 break down the reinsurance into layers. That's

1 because in -- you allocate -- reinsurers will not
2 participate if your insurance -- if your reinsurance
3 layer is one huge layer, because the top and the
4 bottom have very different risk profiles. So we need
5 to break down those layers for them. And this is how
6 the pricing optimization work come in.

7 Because as a reinsurance broker, we -- we
8 are the advocates for insurance companies, so we help
9 negotiate to reduce the pricing for our clients. So
10 we design -- we try to design a structure that has a
11 break that result in the minimum reinsurance premium
12 for our clients. So that is the same methodology we
13 use here. So we assume a five-layer structure.

14 So in theory, if -- you could have many more
15 layers, but administratively, it's very hard to
16 manage, so there is a balance on how many layers you
17 have. So we feel the five layers is a reasonable
18 layer -- assumption in North Carolina.

19 So for North Carolina work, basically, we
20 look at our company's composite data and look at on
21 average what are the regional companies' attaching
22 point, attaching probability, and their exhaustion
23 probability. So from there, we derive these --
24 these -- the top point and the bottom point.

25 Q. Okay. Can you -- that actually brings me to

1 a good question.

2 Can you explain the layers shown in the
3 first column to a less technical audience? How would
4 you explain what the layers are to a non-actuary?

5 A. Okay. Thank you.

6 So in this example, so we actually -- for
7 reinsurance structure, we start from bottom. So
8 1500 million excess 1453 million: That means once the
9 event happens for this composite company, the first
10 1453 million will be retained loss -- will be retained
11 by this one composite company. That is because we
12 believe it's -- on average, the companies in this
13 region, they hold a capital that can allow them to
14 retain a loss below 11-year return period loss.

15 Q. And when you say they retain the loss --

16 A. They retain the loss, 1453 million is the
17 loss they retain. And the --

18 Q. And by "retain," you mean they pay it?

19 A. They don't get reinsurance recovery. So the
20 "retain" means -- yeah, they pay it and they do not
21 get any recovery from reinsurance treaty.

22 MS. FUNDERBURK: Thank you.

23 MR. FRIEDMAN: Your Honor, I'm sorry to
24 interrupt, but those numbers she is testifying to
25 aren't on the screen -- portion of the exhibit that

1 I can see on the screen.

2 They are? I'm sorry, where -- oh, my
3 mistake. I just got that explained to me. Excuse me.

4 MS. FUNDERBURK: Thank you.

5 Please proceed, Ms. Mao.

6 THE WITNESS: Yeah. Then -- so this
7 reinsurance structure has five layers. The first
8 layer is 1500 million, so the one's a loss above
9 1454 million. So if you add 1500 million to the 1453,
10 that becomes the retention of the -- that becomes the
11 attaching of the second layer. 2953 equal 1500 plus
12 1453. So the size of the first layer is 1500 million,
13 and the size of second layer is 20 million -- 2000
14 million, sorry.

15 BY MS. FUNDERBURK:

16 Q. Thank you. And can you -- can you discuss
17 the return periods?

18 Again, to a nontechnical audience, how would
19 you best explain the return periods, the attachments
20 versus the exhaustion, you know, where coverage
21 starts, where coverage ends? Can you explain that?

22 A. Oh, sure --

23 Q. Thank you.

24 A. -- let me try.

25 The return period loss means loss of this

1 size or above will happen every 13 years of that
2 return period indicate. So in this example,
3 1453 million is the 11-year return period. That
4 means, in North Carolina, for the NCRB's exposure, a
5 loss of 1453 million or above will happen every
6 11 years for that composite company.

7 And then for the -- then if we look at the
8 second layer, 2953, that -- the return period is
9 23 years. So that means for North Carolina composite
10 company, a loss of 2353 million [sic] will occur every
11 23 years --

12 Q. Okay.

13 A. -- 2953 or above will happen every 23 years.

14 Q. Okay. And then so on?

15 A. And then so on, yes.

16 Q. Okay. Did you select the return periods
17 here? Do you know how they were selected?

18 A. What --

19 Q. Oh, the return periods in RB-13, do you know
20 how those were selected?

21 A. Yes. The return period of the first number,
22 11, and the top number, 273 [sic] -- 11 and the 279,
23 those two numbers are based on Aon's composite
24 reinsurance database. So that is, when we look at
25 Aon's clients, on average, they buy protection start

1 from 11 years, and they exhaust from 279 years.

2 Q. So that's a standard within Aon? Those
3 return periods are standard return periods you would
4 use for North Carolina or another state if you were
5 running the calculations? Am I understanding that?

6 A. Yeah, this is what we typically observed of
7 Aon's clients to buy, yeah, based on -- because it's a
8 mixture of large companies, small companies, regional
9 and the national.

10 And sometimes -- so it also depend on what
11 company exposed to. So we notice if a company is
12 mid- -- so has tornado/hail exposure alone, they tend
13 to buy higher return period, much higher than the
14 hurricane risk.

15 And also a company if they buy a
16 Fitch-rated, then it -- sometimes it requires them to
17 buy up to 400-year PML; and if it's A.M. Best rated,
18 it's a 200-year hurricane or a 250-year earthquake
19 event. So the different rating agencies have
20 different type of stress tests. So it's really --
21 this is -- this is the result of mixture of various
22 company, they are different -- have different rating
23 and a different buying strategy.

24 Q. Okay. So -- and correct me if I'm
25 summarizing this wrong -- so you have the different

1 return periods, and an individual company might make a
2 determination: This is where we are going to by based
3 on their individual risk, whether they're in the
4 Midwest and have to deal with tornadoes or whether
5 they're on the Eastern Seaboard and have to deal with
6 hurricanes?

7 A. Yes.

8 Q. They would calculate that and make -- and
9 review the data and make a determination as to where
10 they were going to purchase and the return period?

11 A. Yes.

12 Q. Do you know where most companies in North
13 Carolina fall?

14 A. Hmm?

15 Q. Do you know where would -- to the extent you
16 know, do you know where most companies in North
17 Carolina would purchase?

18 A. That -- most North Carolina companies are
19 national carriers, and as I know, national carriers
20 are typically A.M. Best rated; so that means -- so the
21 retention is very hard to tell because different
22 companies have different surplus positions, so when
23 they determine how much they want to retain, sometimes
24 they have a measure, like when the -- after the first
25 event happens, how much surplus remained after the

1 first event. So it's really very -- so the 11 years
2 is a weighted average that we observe with our kinds.

3 But 279 years here, that means probably they
4 are dominated by the national carriers that are
5 A.M. Best rated.

6 Q. Okay. Do you know if these return periods
7 are consistent across prior filings that have been
8 submitted by the Rate Bureau?

9 And again, to the -- I don't want you to
10 feel like you need to speculate or answer a question
11 you don't know. But to the extent you know, are these
12 return periods consistent, including the upper levels?

13 A. Yeah, I don't -- I don't recall the answer,
14 but I think during the period from last filing to this
15 filing, what we notice is, because the reinsurance
16 cost is increasing, the companies tend to buy -- tend
17 to retain more and they buy more on the top. So that
18 would make the most economic sense to them because the
19 reinsurance is higher price in the lower layer. So
20 that's why there is some observation we notice the
21 company retain more but that they also buy more on the
22 top.

23 Q. Okay. And is -- the 279, is that the highest
24 level that you recommend or calculate?

25 A. In this case, 279 is the exhaustion of the

1 rei nsurance.

2 Q. Okay. Are there other times where you
3 recommend higher? Does it go -- would your
4 calculations ever go above 279 for the exhausti on
5 point in that return period?

6 A. That, I don't recall, because each time does
7 the -- run the pricing curve and base on the latest
8 market pricing curve and then makes a determinati on.
9 So I don't recall what the prior number looks like.

10 Q. Okay. Thank you.

11 If one of the layers that had a lower
12 exhausti on point than 279 were selected ultimately as
13 the upper layer, would that correlate with cost? If
14 you're at the 149 layer, that comes with less cost
15 than the 279 layer; is that accurate?

16 A. Sorry, can you repeat your question?

17 Q. I will echo Mr. Spivey and say I will try.
18 And I'll try -- I will try to be clear.

19 When you're looking at exhausti on levels,
20 the rate -- the return periods and the exhausti on
21 levels, if -- is it correct to say that if the return
22 period with an exhausti on level of 81 is selected,
23 that is a lower cost to an insurer than if they are at
24 an exhausti on point of 149?

25 Is that -- is that how the periods work --

1 the return periods work?

2 A. I try -- I'm not sure if I fully understand
3 the question, but generally, the reinsurance pricing,
4 the lower layer has higher price, and the higher layer
5 has lower price. That is because the lower layer has
6 the loss -- higher expected loss, and the loss is more
7 certain, because it happened -- so in the lower layer,
8 you can see, for the 11-year return period, that means
9 a loss can happen every 11 years. So the likelihood
10 of that loss is almost 10 percent -- 9 percent,
11 10 percent. But if you go above, the likelihood is
12 very remote; however, it becomes more volatile.

13 So the pricing in the lower layer is more
14 driven by the loss, and the pricing in the upper layer
15 is more driven by volatilities, standard deviations.

16 Q. Okay. Thank you.

17 MS. FUNDERBURK: Could we switch to
18 RB-14, please? And I'm just going to check my notes
19 to see if there's anything additional. I think
20 there'll be a few questions.

21 All right, thank you.

22 BY MS. FUNDERBURK:

23 Q. So the reinsurance layer shown in here in the
24 first column, for the hypothetical one -- and I think
25 you've -- you've discussed some how those were

1 determined; I appreciate that -- so these are the same
2 levels as what we previously discussed in RB-13;
3 correct?

4 A. Correct.

5 Q. Okay. And RB-14, the purpose here is to show
6 the net cost of reinsurance values in the last column;
7 correct?

8 A. Correct.

9 Q. Okay. Can you tell me -- I see there are
10 some percentages. So the second column has -- the
11 second column is labeled "Rate-On-Line"?

12 A. Yes.

13 Q. Can you explain that to me and how it was
14 derived?

15 A. This is -- this Rate-On-Line is -- it is by
16 looking up Aon's pricing curve.

17 Q. Okay.

18 A. Yeah. How they derive it, we start from the
19 expected loss and then derive to the expected premium.
20 So this is actually Aon's methodology algorithm
21 calculate this Rate-On-Line.

22 Q. Can you tell me how it's calculated without
23 getting into any proprietary information?

24 A. Okay. So basically, we are looking at -- so,
25 for example, for the layer 15 million excess of 1453,

1 so we can see that here is -- so we -- typically, we
2 look at North Carolina's event curve, then we
3 calculate what is expected loss in this -- in this
4 layer.

5 Then Aon has a loss curve, as I mentioned --
6 so we have the loss curve from expected loss to
7 expected premium. So we use that loss curve -- it's
8 an exponential fit -- so we use that loss curve from
9 the expected loss column -- expected loss column to
10 derive the expected premium based on the exponential
11 pricing curve we have.

12 Q. Okay. Thank you for referencing the -- one
13 of the other columns. And actually, I'd like to just
14 briefly go through all of them.

15 A. Okay.

16 Q. So the -- if you could go through the
17 "Deposit Premium," what it represents, how it's
18 derived; the "Reinstatement Premium," the "Expected
19 Total Premium" --

20 A. Okay.

21 Q. -- that would be helpful for me to just have
22 a general overview with an explanation of what the
23 columns are and how they were derived.

24 A. Okay. So "Rate-On-Line" is really the
25 percentage of the premium you pay based on the size of

1 the layer.

2 So for the column of the deposit, it is
3 Rate-On-Line multiplied by the layer limit. For
4 example, the first layer is 316,200 equal to
5 21 percent multiplied by 1500 million; so it is the
6 Rate-On-Line applied to the size of the layer to get
7 the deposit premium.

8 Q. Okay. Thank you.

9 A. And since most of the catastrophe reinsurance
10 treaty include one reinstatement, so the reinstatement
11 means really protect the -- one, there is a multiple
12 event hit the treaty, so it allows to -- insurer to
13 reinstate the limit but pay that portion of the
14 reinsurance premium to reinstate.

15 And it's up to one reinstatement; so that
16 means you could use the reinstatement by one event, it
17 blows through the whole layer. Or it can be the
18 second event if there's still remaining -- it could be
19 the third event if there's still remaining portion
20 that's not used by the second event. So -- but it's
21 up to one full reinstatement.

22 So in our simulation, we just -- because
23 it's a year simulation, so some years you have no
24 events, some years you have multiple events, but on
25 average, so this is a reinstatement the company would

1 pay under this treaty that we discuss on the left
2 column. So if there is a small portion of the
3 reinstatement premium expected, then the expected
4 total premium equals a deposit premium plus the
5 reinstatement premium.

6 Q. Thank you.

7 Is there anything else you'd like to
8 describe about the columns?

9 A. So the -- yeah, the next one is "Expected
10 Ceded Loss": That is the expected recovery from
11 reinsurance treaty. Then by subtracting expected
12 ceded loss from the total premium, we have the net
13 cost of reinsurance: That is what's being used in the
14 NCRB filing, that \$1.19 billion.

15 Q. Thank you.

16 And I think I'm almost finished. I do want
17 to -- I want to clarify something about the layers.

18 A. Okay.

19 Q. It sounds like, from what you've said, there
20 are two potential costs that are impacted by the
21 layers. One could be the actual cost of the
22 reinsurance -- the net cost of the reinsurance itself,
23 but then also, potentially, the amounts that the
24 insurance company itself could have to pay out. Is
25 that accurate -- is that an accurate statement based

1 on what you said?

2 A. So you're saying --

3 Q. The losses. So the layers seem to
4 indicate -- changes in the layers seem to indicate two
5 potential values --

6 A. Mm-hmm.

7 Q. -- or monies: One, the actual net cost of
8 the reinsurance; and then two, the amount of losses.
9 Is that an accurate statement of -- is that an
10 accurate statement by me?

11 A. Yeah. The -- so if I state correctly, the
12 net cost of reinsurance equal the reinsurance premium
13 for that layer minus the expected reinsurance recovery
14 for that layer. That is the net cost of reinsurance,
15 and that is considered the profit of reinsurance
16 company. So that is the last column: That is the
17 profit of reinsurance companies.

18 Q. Okay. If an -- let's say if the uppermost
19 exhaustion period was set at 149 instead of 279,
20 I believe you said that could result in increased
21 losses. Is that correct?

22 A. No. I think if company buy less -- so if
23 they only buy 150 a year versus 250 a year, then the
24 company will pay less because they don't have to pay
25 the upper -- the top layer --

1 Q. They would pay less in the premium?

2 A. Yes, they would pay less in total reinsurance
3 premium, yes.

4 Q. Okay. But could potentially have more
5 exposure by nature of paying --

6 A. Correct. They will retain all the loss above
7 that 150-year level.

8 Q. Okay. So purchasing at the -- purchasing at
9 81 versus 149, or at 149 versus 279, reduces the
10 actual premium?

11 A. Correct.

12 Q. But by the same token, the flip side of that
13 is there's additional exposure to the -- to the
14 company?

15 A. Yes, additional exposure and also increased
16 likelihood of insolvency if the company doesn't have
17 other means to raise their capital.

18 Q. Which could potentially impact their ratings;
19 correct?

20 A. Yes, impact their rating, and the solvency.

21 Q. Okay. All right, thank you very much.

22 I appreciate the explanation, particularly in a
23 nontechnical sense.

24 A. Thank you.

25 MS. FUNDERBURK: Mr. Spivey, given that

1 I've asked Ms. Mao some questions, would you like to
2 follow up?

3 MR. SPIVEY: Yes, your Honor, just a
4 few things, just to clarify for myself.

5 MS. FUNDERBURK: Yes. Thank you.

6 FURTHER DIRECT EXAMINATION BY COUNSEL FOR THE
7 NORTH CAROLINA RATE BUREAU

8 BY MR. SPIVEY:

9 Q. Ms. Mao, is it correct -- am I understanding
10 this correctly: That the return period is, in
11 essence, the probability of a loss at that level?

12 So in the example of the first layer,
13 starting at 1453 million, am I correct in
14 understanding that a return period -- if we go back --
15 let's go back to RB-13, please. It attaches at 11?

16 A. Correct.

17 Q. Am I understanding that that means the
18 probability of a loss as large as 1453 million is
19 around 9 percent, or the inverse of the 11, one over
20 11?

21 A. Correct. Yeah, the probability of loss of
22 1453 million or above will occur every 11 years.

23 Q. Okay. And it's stated again as a percentage.
24 That's --

25 A. As percentage, it's 9 percent.

1 Q. You just take the inverse of the number of
2 years?

3 A. Correct.

4 Q. And is it correct that the attachment and
5 exhaustion points that you have selected here and that
6 Rate Bureau has included in the filing come from
7 actual market data on what companies are actually
8 buying in the marketplace in North Carolina?

9 A. That's correct. The -- that reflects the
10 companies that -- nationwide companies doing business
11 in North Carolina and also the regional companies
12 doing business in the state.

13 Q. So those are -- these not things that Aon is
14 specifying "This is what you have to do." This is
15 what Aon is observing in the actual marketplace; is
16 that correct?

17 A. That's correct.

18 Q. And does that vary from time to time?

19 I mean, like, when we did a filing ten years
20 ago, it wouldn't necessarily look the same way because
21 what companies may have been doing in the marketplace
22 then may have been different?

23 A. That's correct. Yeah, especially when the
24 price is increased, a company will try to spend their
25 money carefully, so try to get the biggest bang for

1 their buck, so they will structure reinsurance
2 differently.

3 Q. And so in one of your answers about -- well,
4 strike that.

5 The Rate-On-Line that the hearing officer
6 asked you about, is it correct that that is the price
7 of reinsurance as a percentage of the coverage being
8 purchased?

9 A. That's correct.

10 Q. So it's essentially the premium that the
11 insurer will pay for dollars of coverage that it's
12 buying?

13 A. Correct.

14 Q. And in discussing the rate online, you used
15 the term "loss curve." Is it -- and you said Aon is
16 determining and using what -- using its loss curve in
17 establishing these layers and that sort of thing, and
18 the rates online. Is the loss curve that you referred
19 to based on Aon's observations of what actually occurs
20 in the marketplace?

21 A. Yes. Aon established a correlation based on
22 our clients purchasing; so how much they pay in this
23 layer, what is expected loss. Then we aggregate the
24 data and we aggregate the data into a power curve.

25 Q. You've also used the term, in responding to

1 some questions, "PML"?

2 A. Mm-hmm.

3 Q. Can you just tell us what that means?

4 A. Yeah. Probable maximum loss.

5 Q. And can you describe what that is in the
6 context of buying reinsurance?

7 A. In context of buying reinsurance here is --
8 let me go back to -- in this case, that means the
9 company will protect the -- the company's reinsurance
10 will protect this company between 11-year return
11 period to 279-year return period --

12 Q. Okay.

13 A. -- in this specific case.

14 Q. And so when we were talking about the
15 attachment point and the exhaustion points here, am
16 I understanding correctly that insurance companies
17 retain the exposure of loss for themselves for any
18 losses that occur below the attachment point and any
19 losses that occur above the final exhaustion point?

20 A. That's correct.

21 MR. SPIVEY: I think that concludes the
22 questions I was -- would like to ask now.

23 MS. FUNDERBURK: Thank you, Mr. Spivey.

24 I understand, Mr. Friedman, you would like
25 some time to prepare. I do want to at least commence

1 Ms. Mao's cross-examination today.

2 MR. FRIEDMAN: I have a suggestion.
3 The -- I've got questions rolling in from people
4 online here. I don't even understand some of the
5 questions they're proposing that I ask, and I do need
6 to be able to understand them, and then -- let alone
7 be able to form follow-up questions depending on her
8 answer.

9 I could probably do about 45 minutes of
10 cross right now, and that -- but past -- and that's
11 just based on very basic lawyerly instincts and some
12 few technical questions. And what I'm suggesting is
13 that I do that and then we break for the day.

14 MS. FUNDERBURK: I don't want to break
15 for the day. We can break for a long lunch, and you
16 can reevaluate some notes, and then we can come back.
17 And you may not finish. You may need some additional
18 preparation time. I'm willing to break for a couple
19 hours. But I understand Ms. Mao has availability
20 concerns even next week, potentially, on the 12th --
21 that you've got meetings in Chicago.

22 Logistically speaking, how late can we
23 actually go today? When are people's flights
24 scheduled, Mr. Spivey?

25 MR. SPIVEY: I think Ms. Mao is

1 scheduled to fly out until this evening.

2 THE WITNESS: Yeah, 8:20.

3 MS. FUNDERBURK: Okay. All right.

4 Any other flight concerns?

5 MR. SPIVEY: I know some of the folks
6 are leaving this afternoon, but --

7 (Over-speaking.)

8 MS. FUNDERBURK: Okay. But they won't
9 be a concern for this?

10 MR. SPIVEY: -- if we could get as far
11 as we could get with Ms. Mao today, that would be our
12 preference.

13 MS. FUNDERBURK: Okay.

14 Let's go until 12:15. That'll be a good
15 breaking point.

16 Are you okay to go until 12:15, or do you
17 need another break, Ms. Mao? You're fine? Okay.

18 Do you need some water?

19 THE WITNESS: I'm good, thank you.

20 MS. FUNDERBURK: Okay. Thank you.

21 Let's go until 12:15. We'll take a break
22 for -- we'll try a couple hours -- and then resume,
23 maybe two hours, to see how far we can get with her
24 testimony, because I would like to get as much of her
25 testimony done today as we can.

1 I'd also, again -- we have concerns. We
2 close the building at 5:00. We have to get everybody
3 out at 5:00, which means we need to do a hard stop at
4 4:30 to make sure we clear the building and security
5 feels comfortable that we've cleared the building.

6 MR. FRIEDMAN: Can I ask your Honor,
7 then -- it sounds like you're expecting me to have
8 around two and a half hours of combined cross for her
9 today?

10 MS. FUNDERBURK: I don't know how much
11 time you will have today. What I would anticipate is
12 we get you started with your cross, of what you think
13 you can do, we go to 12:15, and then we take maybe a
14 two-hour break and we come back to see where things
15 are; and that will give you some time to consult with
16 your folks.

17 MR. FRIEDMAN: Okay.

18 MS. FUNDERBURK: Please proceed,
19 Mr. Friedman.

20 CROSS-EXAMINATION BY COUNSEL FOR THE
21 NORTH CAROLINA DEPARTMENT OF INSURANCE
22 BY MR. FRIEDMAN:

23 Q. Morning, Ms. Mao.

24 My first question for you is, please give me
25 the number and names of the Aon clients that are doing

1 homeowners business in North Carolina.

2 A. I cannot give you that number and names.

3 Q. Why is that?

4 A. It's proprietary information.

5 Q. Even the names?

6 A. Yes.

7 Q. Okay. Now, can you at least tell me how many

8 Aon clients are doing homeowners business in North

9 Carolina?

10 A. I don't have that number readily available.

11 Q. I asked you the same question three and a
12 half weeks ago and you haven't figured it out now?

13 A. No, I didn't --

14 MS. FUNDERBURK: Mr. Friedman, I don't
15 that "Have you figured it out" is necessary. You can
16 follow up, but watch the tone.

17 MR. FRIEDMAN: Yes.

18 BY MR. FRIEDMAN:

19 Q. You have not gone back and looked for that
20 number?

21 A. I didn't try to get the information because
22 I didn't think that follow-up question -- I didn't
23 think you are expecting me to find it out.

24 Q. Okay. Is it more than 10? Less than 10?

25 A. What --

1 Q. Do you know -- any idea? There's 110, as
2 I understand it, voluntary market members whose data
3 is relevant to the hypothetical ones filed. And so
4 what I'm asking is, out of that 110, do you have any
5 sense of how many are Aon clients doing business in
6 North Carolina?

7 A. No, I didn't. I didn't look for that
8 information. I could look, but I didn't. I don't
9 have that information --

10 (Over-speaking.)

11 Q. Excuse me. Could you please look for that
12 for next week on Thursday?

13 A. Okay.

14 MR. FRIEDMAN: Would you mind pulling
15 up RB -- I believe it was the article. It was the
16 first introduced yesterday.

17 MS. FUNDERBURK: Please be sure you're
18 speaking in the microphone.

19 MR. FRIEDMAN: I'm sorry. The article
20 that --

21 MR. SPIVEY: I think everyone has hard
22 copies.

23 MR. FRIEDMAN: I'm -- then give me a
24 moment to look for my hard copy, if you could, your
25 Honor.

1 MR. SPIVEY: I'll give you my copy.

2 MR. FRIEDMAN: Thank you.

3 (Document was handed to counsel.)

4 MR. SPIVEY: RB-34?

5 MR. FRIEDMAN: Yes.

6 MR. SPIVEY: I see that we do have it
7 on the screen.

8 MR. FRIEDMAN: Okay. Great.

9 I appreciate that.

10 BY MR. FRIEDMAN:

11 Q. Ms. Mao, when did you first read RB-34?

12 A. That, I don't remember when was first time
13 I read it, but I do remember in my -- yeah, in the
14 past few years, and there's various occasions
15 I visited this paper.

16 Q. And if you could tell me what in this article
17 you think is relevant to your prefile testimony or
18 your testimony today.

19 A. Nothing in this article I -- I didn't think
20 about this article in my entire prefile testimony and
21 in my work for the Bureau until Wednesday evening
22 after I watched Ms. Cavanaugh's testimony.

23 So I was hoping to see what justification
24 she used to select RMS over AIR by looking at these
25 two numbers. I want to see her support. Since she

1 didn't provide support, so I thought about are there
2 other benchmarks we can use to compare.

3 Q. So could you please tell me what in the
4 article is -- you consider relevant to the testimony
5 in the new exhibits you've produced that your -- you
6 have gone through yesterday and today?

7 A. So the Table 5 is information relevant to
8 rebuttal testimony against Ms. Cavanaugh's Table 14,
9 I believe.

10 Q. Okay. Is there anything else besides Table 5
11 that you have -- believe in this article is relevant
12 to your testimony on rebuttal yesterday and today?

13 A. Other relevant information would be this
14 article presented the normalization methodology
15 that -- that is important because adjustments for
16 demographic and housing unit is an important portion
17 of the hurricane normalization, and Ms. Cavanaugh
18 didn't do that in any of her five testing. There are,
19 I believe, two tests involve the normalization of the
20 hurricane loss, so I feel that is also relevant, that
21 her methodology and the testing lack these components
22 of normalization.

23 Q. Okay. Could you please point me to what
24 pages and, in those, what paragraphs support your
25 testimony about the normalization?

1 A. It is the -- it is on page 31. So it's
2 page 31, on the right side of this -- yes. This is
3 29. Yeah, 29. Yes.

4 On this page, if we go to the top portion,
5 it outlined -- yeah -- inflation, capita -- wealth
6 per capita, and affected county population. I think
7 this is what I believe is -- or I agree with author's
8 opinion about hurricane normalization, because
9 hurricane normalization is about compare hurricanes on
10 the same basis.

11 And as we also know, hurricane is sporadic
12 events, and they happen -- large hurricane happen only
13 once every many years. And then when we try to bring
14 all the losses into the -- on the same basis, not only
15 we need to do the trending that Ms. Cavanaugh is
16 doing, but we also need to account for the population
17 change and the wealth of the community.

18 Q. So you're saying the Figure 1 or the
19 narrative after that in "Affected County Population"
20 shows -- or supports your testimony about the
21 normalization?

22 A. My testimony about normalization is mainly
23 the -- what I read, my understanding of this paper,
24 and I agree with this paper. And there are three
25 paragraphs: the "Inflation," "Wealth Per Capita," and

1 "Affected County Population." I agree these are the
2 three important components.

3 Q. Okay. So the three paragraphs on the
4 right-hand corner under "Affected County Population"?

5 A. Yes. Basically, all the paragraphs on this
6 page.

7 Q. Oh, okay. So beginning with the paragraph on
8 the far left --

9 A. Mm-hmm.

10 Q. -- at the top, and leading up to the bottom
11 paragraph on the far right?

12 A. Yes.

13 Q. Okay. And does the map include support for
14 your testimony about the normalization?

15 A. Can you ask the --

16 Q. I'm sorry, does Figure 1 -- is that also data
17 that supports your testimony about normalization?

18 A. I didn't use this map. I simply just used
19 the table that I showed. I didn't examine each --
20 each state's population change. I trust the author
21 used the proper information in his analysis.

22 Q. Okay. So your testimony today does not
23 involve Figure 1?

24 A. No.

25 Q. Okay. And when you just said you simply used

1 the table, what table is that, again?

2 A. Table 5.

3 Q. Okay. Okay. So is it my understanding, on
4 Table 5, that that includes actual historical data for
5 actual modeled storms?

6 A. Those are actual historical data for actual
7 storms -- not modeled storms, actual storms.

8 Q. Okay. And what are the names of those
9 storms?

10 A. Oh, that is -- no, I don't have that readily
11 available. Let me see if it's in one of the tables.

12 Oh, yeah. On page 35. It didn't give all
13 the storms' names, but it gives the top 50 storms --
14 name of the storms.

15 Q. It gave numbers for some of those storms and
16 the numbers according to year; is that correct?

17 A. Yes, because in some years those storms are
18 not named.

19 Q. Okay.

20 A. In some old years, those storms don't have a
21 name.

22 Q. Did you or the Bureau provide us any
23 comparison data about these 50 storms?

24 MR. SPIVEY: I'm sorry, what kind of
25 data?

1 BY MR. FRIEDMAN:

2 Q. Any data comparing these 50 storms to the
3 modeled results?

4 A. I didn't have that information. I didn't
5 provide. I rely on this author's analysis.

6 Q. Could you provide it the next -- when we come
7 back for testimony next week?

8 A. No, I don't have that information.

9 Q. Okay.

10 MS. FUNDERBURK: That assumes that we
11 won't be done with your testimony today. So if you
12 need something, you may need to ask her for it for the
13 break.

14 MR. FRIEDMAN: I -- okay.

15 BY MR. FRIEDMAN:

16 Q. Could you find that out today?

17 A. What -- I'm not sure what you are exactly
18 asking for.

19 Q. I'm asking for --

20 MR. SPIVEY: She responded she doesn't
21 have the data you asked for.

22 MR. FRIEDMAN: Right. And I understood
23 the Court was suggesting that I ask when it would be
24 available. Is there no --

25 MS. FUNDERBURK: I'm suggesting if

1 there's something that she is being -- if there's
2 something being requested of her, you request that
3 that occur during the break to the extent possible.

4 MR. FRIEDMAN: Yes, ma'am.

5 BY MR. FRIEDMAN:

6 Q. How would you go about obtaining the
7 information on page 35?

8 MR. SPIVEY: Objection. If this is
9 some theoretical question, maybe we have time for
10 that. If he's suggesting that she's supposed to go do
11 his research for him, I object to that.

12 MS. FUNDERBURK: Tell me, what exactly
13 are you looking for, Mr. Friedman?

14 MR. FRIEDMAN: Right now, and I --

15 MS. FUNDERBURK: What data --

16 MR. FRIEDMAN: What I would like to
17 know -- I'm going to ultimately want to know whether
18 she can state for a fact that all of the data on
19 page 35 and then the page --

20 MS. FUNDERBURK: 35 of the normalized
21 hurricane damage --

22 MR. FRIEDMAN: Yes, Table --

23 (Over-speaking.)

24 MS. FUNDERBURK: -- in the
25 United States, RB-34? Okay.

1 MR. FRIEDMAN: Table 2.

2 MS. FUNDERBURK: Okay.

3 MR. FRIEDMAN: And then the explanation
4 on 2, what I am asking her is whether she can state
5 for a fact and provide us evidence that all of the
6 narrative on 31 and the numbers on 35 are actually
7 incorporated into the models, because she is
8 testifying about -- we asked repeatedly for actual
9 data to compare to the models. As I understand it,
10 she has spoken now and seemed to adopt the numbers and
11 explanations in the article I've just discussed. And
12 what I think is clearly relevant is what evidence does
13 she have that any of this data was either input into
14 the models that she ran or was actually already
15 programmed in through some assumption to the models.

16 MR. SPIVEY: Your Honor, this article
17 has been presented. It's already been described by
18 Ms. Mao as being the work of a prominent scientist in
19 the field which -- researching hurricane loss damage
20 and how to normalize those damages to current day
21 values.

22 I'm not sure I understand what Mr. Friedman
23 expects in terms of what Ms. Mao can tell him about
24 the data underlying Dr. Pielke's work and how it
25 relates to his question about the models.

1 MR. FRIEDMAN: Your Honor, in my
2 original cross of her, I asked her extensive questions
3 about what storms have been part of the various
4 modules in the models. I asked her about what overall
5 actual data she was aware, other than that data she
6 input to run the models, was actually taken into
7 account, and, like I say, programmed or somehow taken
8 into account in the assumptions of the models.

9 MS. FUNDERBURK: So does your question
10 relate to her direct testimony and your subsequent
11 cross-examination?

12 MR. FRIEDMAN: Well, your Honor, when
13 you asked me where I was going with this, I was
14 talking about my ultimate goal. There's a number of
15 questions leading up to that. So I was just trying to
16 explain, your Honor, what, ultimately, I would like to
17 know from her.

18 MS. FUNDERBURK: But does that relate
19 to her initial testimony in your cross-examination, or
20 does that relate to her rebuttal testimony?

21 MR. FRIEDMAN: Her rebuttal testimony,
22 your Honor.

23 MS. FUNDERBURK: Okay. And in what way
24 does it relate to the rebuttal testimony -- your
25 cross-examination of her rebuttal testimony?

1 Because you've referenced her original
2 testimony and your cross-examination -- your questions
3 regarding the data and the models. How does this
4 relate to her cross-examination of rebuttal?

5 MR. FRIEDMAN: So it -- I understand
6 your question better, your Honor. It relates to her
7 cross-examination because in the cross-examination she
8 stated that she knew nothing about the modules but
9 believed that because the various modeling companies
10 employed the best meteorologists, engineers, and
11 I forgot what other professionals, she believed they
12 would have necessarily taken into account great
13 amounts of actual data. That was -- and then she --
14 and she said she doesn't know more than that. She was
15 not testifying to anything more that was in the
16 modules, and she thought it would be proprietary
17 anyway if she knew that.

18 She is now, through this, through other of
19 her exhibits, engaging in comparisons of her actual
20 data to her modeled results; and among the many things
21 I'd like to know is was any of the actual data she's
22 now comparing to the modeled results -- does she know
23 if that's actually taken into account or part of the
24 models.

25 MR. SPIVEY: Your Honor, Ms. Mao

1 testified in rebuttal about the appropriateness and
2 necessity of normalizing hurricane losses when you're
3 comparing those actual losses to what the models
4 project those losses to be. She utilized this article
5 as support for a process for normalizing those
6 damages; and that's what she presented in her rebuttal
7 testimony.

8 This has nothing to do with her testimony a
9 month ago and questions about underlying data in the
10 models themselves. This has simply been used to
11 normalize the damages presented by Ms. Cavanaugh in
12 her testimony for rebuttal purposes.

13 MR. FRIEDMAN: Your Honor, this is --
14 again, I'm going to have to go back at length over the
15 discovery requests. But she is, almost for the first
16 time, referring to actual historical data that she is
17 identifying, despite our many requests about this --

18 MS. FUNDERBURK: We're going to start
19 over on the questioning because we're getting --
20 I mean on the argument on this, because we need to
21 actually do some cross-examination and ask some
22 questions.

23 This was presented in relation to
24 Ms. Cavanaugh's testimony for normalization. It's
25 someone else's data in a research paper.

1 MR. FRIEDMAN: Okay.

2 MS. FUNDERBURK: Start your -- go
3 ahead, start your questioning again. Even if you have
4 to restate a question --

5 MR. FRIEDMAN: Okay.

6 MS. FUNDERBURK: -- but start your
7 questioning again.

8 BY MR. FRIEDMAN:

9 Q. Ms. Mao, per the verbiage on page 31 and the
10 data on page 35 in Table 2, do you know whether the
11 AIR standard actually considers any of this data?

12 MR. SPIVEY: I'm sorry, actually
13 considers what?

14 MR. FRIEDMAN: Considers any of this
15 data.

16 THE WITNESS: I don't know if they used
17 Dr. Pielke's paper to develop their model or not.
18 I have no idea. I --

19 BY MR. FRIEDMAN:

20 Q. But it's not -- it's not about the paper.
21 I'm asking about the data in the paper. Do you know
22 whether they used any of that data or not?

23 A. I have submitted AIR documentation. There is
24 a section on examples of storms they used to calibrate
25 their model. I think that paper disclosed some of the

1 historical storms being used in their analysis. Some
2 are probably meteorology. They calibrate the wind
3 speed, the central pressure. Some are used for the
4 loss calibrations, they collect data from their
5 clients. But I don't have an exact list of what AIR
6 or RMS did.

7 MR. FRIEDMAN: If you give me a moment,
8 your Honor, I'm going to get her prefile testimony.

9 BY MR. FRIEDMAN:

10 Q. Ma'am, could you turn to Exhibit RB-9,
11 please. And is that your prefile testimony?

12 MS. FUNDERBURK: Please be sure you
13 speak in the microphone.

14 MR. FRIEDMAN: Excuse me, ma'am.

15 BY MR. FRIEDMAN:

16 Q. Is that your prefile testimony?

17 A. RB-9 is Gross Modeled Hurricane Expected
18 Loss, include-- oh.

19 Q. My mistake. RB-8.

20 MS. FUNDERBURK: RB-8 is Ms. Mao's
21 pre --

22 THE WITNESS: Okay.

23 MS. FUNDERBURK: I'm sorry, RB-7 is
24 your prefile testimony. RB-8 is your CV.

25 MR. FRIEDMAN: Sorry for the confusion.

1 BY MR. FRIEDMAN:

2 Q. In RB-7, you just testified that it show- --
3 as I understand it, the storm history that you
4 testified is somewhere in your report. Is it in RB-7?

5 A. Can you point the line and page number in
6 RB-7?

7 Q. Ma'am, you said, just a moment ago -- I asked
8 you about whether you knew if any of the data in --
9 from page 31 and 35 of Exhibit RB-34 was actually
10 taken into account in the Aon historic, and you
11 answered that you -- in your testimony, there was a
12 listing of some storms that were -- no, you didn't --

13 A. It's not my testimony. I am referring to the
14 AIR model documentation I submitted as part of the
15 discovery; and in that documentation, they showed the
16 historical comparison. Even Ms. Cavanaugh referenced
17 some -- some pages of that report -- of that document
18 in her testimony --

19 Q. Okay.

20 A. -- that that document had showed AIR's, how
21 they use historic -- how they compare historical loss
22 with the modeled loss, and how they use historical
23 National Hurricane Center's information to develop the
24 hazard in the hazard module.

25 So, yeah, that document is there. But it

1 doesn't have a list of whether all those 50 storms are
2 used or only part of those are used. That detail is
3 typically not available to us; those are only
4 available to vendors.

5 Q. So over the break I will find that article,
6 and we'll come back, and at least I'd like to try to
7 figure out --

8 A. Sure.

9 Q. -- what in -- I'm sorry -- what in that data
10 response or discovery response at least overlaps with
11 what's on page --

12 A. Sure.

13 Q. -- pages 31 and 35.

14 A. Sure.

15 Q. Let's switch topics and go back to -- let me
16 find --

17 One moment, your Honor.

18 Could you turn to RB-13, please.

19 A. Yes.

20 Q. For 2024, can you tell me what the attachment
21 and exhaustion points are for even one actual North
22 Carolina homeowners rider?

23 MR. SPIVEY: Objection to the extent
24 I'm not sure this relates to her rebuttal testimony.
25 Maybe it's relating to the questions you asked, your

1 Honor, but it's not relating to her rebuttal
2 testimony.

3 MR. FRIEDMAN: Your Honor, her answers
4 to your questions are part of her rebuttal testimony.

5 MS. FUNDERBURK: Well --

6 MR. SPIVEY: And that's fine, if that's
7 what this is, but I just want to make the point this
8 is not her rebuttal --

9 MS. FUNDERBURK: And I'll say they
10 relate to the questions I asked. That was the time
11 I chose to ask them.

12 MR. SPIVEY: Maybe I should restate it
13 as not an objection so much as noting this pertains to
14 your questions and not to her rebuttal that
15 I presented with her.

16 MS. FUNDERBURK: So noted. Thank you.

17 MR. SPIVEY: Thank you.

18 BY MR. FRIEDMAN:

19 Q. Actually, let's start with the lowest layer
20 at 1500 or 1. -- 1500 million. And you see the
21 attachment points and exhaustion points for that
22 layer, the attachment is 11 and the exhaustion point
23 is 2023 -- or is 23? Excuse me.

24 A. Yes.

25 Q. For 2024 -- actually, for any year -- you

1 choose one -- can you tell me what the actual
2 attachment point was for a North Carolina -- an actual
3 North Carolina homeowners rider?

4 A. So you are ask me actual North Carolina
5 homeowner carrier? I don't have that information
6 readily available. I have -- I observed some national
7 carriers that cover North Carolina, and I think the
8 exhaustion point is reasonable compared to what
9 I observed. Because national carriers are typically
10 A.M. Best rated, it's very common for them to buy up
11 to 250 a year exhaustion.

12 Q. Okay. When you looked at the national
13 numbers, did those include the -- for these
14 unidentified national carriers, did that include the
15 amount that was allocated to North Carolina
16 particularly?

17 A. So for -- this is -- for national carrier,
18 they buy reinsurance to protect their nationwide
19 exposure, then when they file reinsurance, they are
20 going to --

21 MS. FUNDERBURK: Madam Court Reporter,
22 can you hear okay? Okay.

23 I apologize for interrupting, Ms. Mao.

24 THE WITNESS: They will allocate
25 certain portion based on the reinsurance recovery in

1 North Carolina. So in their structure, North Carolina
2 is not a stand-alone structure. There's no attaching.
3 Exhaustion for North Carolina is their only allocation
4 to North Carolina.

5 BY MR. FRIEDMAN:

6 Q. Okay. I appreciate that, then. Then I guess
7 you said that you reviewed the data of national
8 carriers doing business in this region, including
9 North Carolina?

10 A. Yes.

11 Q. Okay. Were those only Aon clients? Or did
12 you have that data about other insurers?

13 A. Those are Aon clients.

14 Q. Okay --

15 MR. SPIVEY: I want to note, your
16 Honor, again, I think we're straying beyond rebuttal
17 at this point.

18 MR. FRIEDMAN: Your Honor, there were a
19 great deal of questions by you to her about the basis
20 for the layers and the attachment points and the
21 exhaustion points. She very clearly testified as if
22 those were based on real data as opposed to merely
23 what the model kicked out.

24 She has --

25 MS. FUNDERBURK: Given that my

1 follow-up questions regarding the reinsurance
2 questions that had been part of the case and part of
3 the rebuttal -- given that my questions did pertain to
4 this, I'm going to allow him to cross-examine on this.

5 MR. SPIVEY: I understand, your Honor,
6 but I'm going to just note that, yes, your questions
7 helped understand what this is displaying, but I'm not
8 sure you were asking about what Mr. Friedman is
9 obviously getting into in terms of actual data that
10 she's looked at. That goes all the way back to
11 October -- early October, his direct -- his
12 cross-examination of Ms. Mao.

13 MS. FUNDERBURK: And Mr. Spivey does
14 raise a valid point. Even those -- I'm going to allow
15 questions related to my follow-up on the reinsurance
16 calculations, including, you know, RB-13 and 14,
17 because obviously that's where my focus was, but
18 I will instruct you to carefully remain within the
19 confines of what was discussed and what was addressed
20 on the rebuttal presented and also my follow-up
21 questions.

22 MR. FRIEDMAN: Could we go ahead, then,
23 and break for two hours, your Honor?

24 MS. FUNDERBURK: Is there anything we
25 need to address before we break?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

No? Mr. Friedman, anything we need to address before we break?

MR. FRIEDMAN: No, ma'am.

MS. FUNDERBURK: Okay.

We are going to be in recess until 2:15 by the clock in the courtroom. I expect everyone to resume and be in their seats and ready to proceed at 2:15.

We're in recess. Thank you.

(Recess taken from 12:15 p.m. with resumption scheduled at 2:15 p.m.)

1 STATE OF NORTH CAROLINA)
2 COUNTY OF ORANGE) C E R T I F I C A T E


3

4 I, Sophie Brock, Notary Public in and for the
5 State of North Carolina, do hereby certify that the
6 above hearing was taken and transcribed by me; and that
7 the foregoing pages are a true and accurate transcript
8 of the testimony of said witnesses. I further certify
9 that the persons were present as stated

10 I further certify I am not of counsel for or
11 in the employment of any of the parties to this
12 action, nor am I interested in the result of said
13 action.

14 IN WITNESS WHEREOF, I have hereto set my hand
15 and affixed my official notarial seal, this 6th day of
16 December, 2024.

17
18 Sophie Brock



19 Sophie Brock, Notary Public
20 Notary Number: 200834000001
My commission Expires: 12/3/2028

21
22
23
24
25

