

NORTH CAROLINA DEPARTMENT OF INSURANCE
RALEIGH, NORTH CAROLINA

IN THE MATTER OF THE FILING)
DATED JANUARY 3, 2024, BY THE)
NORTH CAROLINA RATE BUREAU)
FOR REVISED HOMEOWNERS)
INSURANCE RATES)
BEFORE THE)
COMMISSIONER OF)
INSURANCE)
DOCKET NO. 2157)

COPY

BEFORE: AMY FUNDERBURK, HEARING OFFICER

TRANSCRIPT
OF
HEARING

VOLUME IV - P.M. SESSION

Raleigh, North Carolina
Thursday, October 10, 2024
1:41 p.m.

A P P E A R A N C E S

On behalf of the North Carolina Rate Bureau:

MICKEY SPIVEY, ESQ.
LISA LEEAPHORN, ESQ.
BRIAN BEVERLY, ESQ.
Young, Moore & Henderson, P. A.
3101 Glenwood Avenue, Suite 200
Raleigh, North Carolina 27612

On behalf of the North Carolina Department of Insurance:

TERENCE FRIEDMAN, ESQ.
SHANNON WHARRY, ESQ.
North Carolina Department of Insurance
3200 Beechleaf Court
Raleigh, North Carolina 27604

Hearing in the matter of the filing dated January 3, 2024, by the North Carolina Rate Bureau for revised homeowners' insurance rates, at North Carolina Department of Insurance, 3200 Beechleaf Court, Raleigh, North Carolina, on the 10th day of October, 2024, at 1:41 p.m., before Wendy Sawyer, Court Reporter and Notary Public.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

* * * * *

HEARING OFFICER FUNDERBURK: Back on the record. When we took our lunch break, Mr. Friedman, you were continuing your cross examination of Ms. Mao.

Ms. Mao, remind you, you are still under oath.

Is there anything we need to address before we resume cross examination?

MR. FRIEDMAN: I don't think so, ma'am.

HEARING OFFICER FUNDERBURK: Mr. Friedman, please resume.

CONTINUED CROSS EXAMINATION

BY MR. FRIEDMAN:

Q. Ms. Mao, I'm going to go back to Aesop 38.

A. Can you remind me the page?

Q. Yes, ma'am. It is -- we're in Book 3 again on Exhibit 12.

A. Okay. Okay.

Q. And I'm on page 58. And I'm particularly looking at the 3.4.

A. Okay.

Q. And I'll read that into the record.

A. Um-hum.

1 Q. Appropriateness of the catastrophe model
2 for the intended purpose. The actuary should evaluate
3 whether the catastrophe model is appropriate for the
4 intended purpose and take into account the following.

5 And applicability of the historical data to the
6 extent historical data are used in the development of
7 the catastrophe model or the establishment of
8 catastrophe model parameters, the actuary should take
9 into account the adequacy of the historical data in
10 representing the range of reasonably expected outcomes
11 consistent with current knowledge about the phenomena
12 being analyzed.

13 And then developments in relevant fields, the
14 actuary should make a reasonable effort to be aware of
15 significant developments in relevant fields of
16 expertise that are likely to materially affect the
17 catastrophe model.

18 Let -- I'm going to talk first about the RMS
19 historical and the AIR standard.

20 A. Sure.

21 Q. Did you -- before those -- put it this
22 way. Who selected those, to use those two in
23 particular?

24 A. Select those model for?

25 Q. For the use for the hurricane losses, not

1 for obviously the other ones were -- who selected
2 those? So let me back up.

3 So I understood yesterday that you stated that
4 in some way the Aon (sic) WSST and the RMS medium term
5 affected the determination of the losses. Is that
6 correct? Or were used?

7 A. So those models are used for different
8 purposes.

9 Q. Right. So that was what I was confused on
10 yesterday was whether you used purely the historical
11 and standard models to calculate the hurricane losses
12 and the loss adjustment expenses.

13 A. I used the historical and long term model
14 to determine the hurricane loss cost for this rate
15 filing. And the loss adjustment expense is not a model
16 output. It's an additional assumption applied to model
17 the loss.

18 Q. Okay. So who selected the AIR standard
19 and the RMS historical for use for the loss cost?

20 A. This has been a long standing industry
21 standard practice to use a long term view and a
22 historical view for rate filing. And I want to also
23 refer to the Florida Commission also requires to use a
24 historical view and a long term view for the hurricane
25 loss cost.

1 Q. Did the Bureau tell you to use AIR
2 standard as one of your two models?

3 A. This, again, I -- I've made the rate
4 filing for Bureaus since two filings ago. So this
5 decision has been made before my time. So my
6 assumption is this being discussed with the Bureau and
7 agreed by Aon and the Bureau to use this assumption.

8 Q. Okay. So did you conduct your own model
9 suitability analysis prior to using the AIR standard on
10 in this file?

11 A. I conducted model evaluations, ASOP
12 evaluation. And in my evaluation, I find the
13 historical and the long term view of the corresponding
14 AIR and RMS model are suitable for this filing, for all
15 rate filings.

16 Q. But prior to running in this filing the
17 AIR standard, before you filled out your Rule 38
18 verification, did you conduct a model suitability
19 analysis at that time? Not when you later filled out
20 your Rule 38 certification, but at the time you first
21 used the AIR standard model.

22 A. The first time I used AIR standard model
23 is, probably, I say, in 2004. So are you asking
24 whether or not I did --

25 Q. I'm talking about this filing. Did you --

1 did you conduct a model suitability analysis prior to
2 running the AIR standard in this case?

3 A. Yes. The ASOP 38 for this model is AIR
4 Touchstone Version 9. It was released in 2021, and I
5 conducted ASOP 38 review for this specific version. I
6 believe it's in December 2021, way before this filing
7 was started.

8 Q. Okay. Right. So you did you conduct an
9 independent one for this filing?

10 A. No. I didn't because it is our standard
11 practice to evaluate model for the general purpose of
12 the refiling --

13 Q. Okay.

14 A. -- for the United States.

15 Q. And as far as the RMS historical, did you
16 conduct a separate model suitability analysis prior to
17 using it in this filing?

18 A. Yes. That -- that model used for this
19 filing, I believe it's also version that released in
20 the summer of 2021. And as I recall, I conducted a
21 completed model review at the end of the year 2021 for
22 both AIR and RMS models.

23 Q. So that would be prior to performing
24 this -- your work on this filing?

25 A. Correct. It is our workflow to conduct

1 the ASOP review. First, to conduct the model
2 evaluation, then I rely on model evaluation result to
3 complete ASOP review and then release this model for
4 re-filing for the United States.

5 Q. Okay. So, then as to the AIR WSST and the
6 RMS medium term.

7 A. Um-hum.

8 Q. You only use those, as I understand, it
9 for the CAR, the net -- the CAR, and the net. Is that
10 correct?

11 A. That was for the net cost of reinsurance,
12 those model generate the loss curve for net cost of
13 reinsurance analysis. That's correct. And also for
14 part of the CAR to generate the expected deficit of --
15 of the FAIR Plan and the Beach Plan. Use the same
16 models. Yeah.

17 Q. Do RMS historical and AIR standard also
18 have a function for calculating the net?

19 A. That part is, I believe, each of them,
20 each of the model have a feature, separate features
21 that you can do -- you can perform similar functions,
22 but those functions are not utilized by Aon. That's
23 because Aon has a more streamlined process to blend
24 model.

25 As you know, if you work on each model's own

1 reinsurance platform, then it's difficult to blend the
2 model results because the model are developed
3 independently. They have -- they have different
4 functionalities. It's difficult to combine result on
5 two different platform.

6 Q. But it is possible to use only the RMS
7 historical and the AIR standard to calculate the net.
8 Is that correct?

9 A. It is possible, but it's not the -- the
10 reality what the reinsurance industry is doing, and
11 those are not accurate results.

12 Q. Okay. And it's also possible to use AIR
13 standard and RMS historical to calculate the CAR?

14 A. It -- it's possible.

15 Q. Okay. And you testified to this
16 yesterday, but I believe in this run of the AIR WSST
17 and the RMS medium term, in every instance, it produced
18 higher severity than the RMS historical and the AIR
19 standard. Is that correct?

20 A. That's correct. For these two version for
21 the -- the two models for -- for -- for use for these
22 refiling and that is both modeling vendors view that
23 warm sea surface temperature generate higher than
24 historic -- the standard and the medium term generate
25 higher than the historical.

1 Q. So that's pretty much what always happens
2 when you use those. They generate higher severity and
3 frequency?

4 A. For AIR, it is always the case. That's
5 because AIR's warm sea surface temperature view is a
6 subset of their history -- historical view. So it's a
7 subset means they only look at frequency/severity
8 during the warm phase.

9 And, but, however, this is not true for RMS
10 model because RMS model medium term view represent what
11 they believe, what will happen in the next three to
12 five years. And, right now, RMS, based on this model,
13 they believe the next three to five years hurricane
14 activity will be higher than long term history average.

15 However, if you go back to four years or maybe
16 longer, I believe that's a 2017 release, RMS actually
17 believe at that point, the next three to five years
18 will be lower than the historical long term average.

19 Q. Okay. So sometimes RMS medium term
20 produces higher losses in severity than RMS historical
21 and sometimes the reverse?

22 A. Correct.

23 Q. Okay. But in this case, it was all
24 higher?

25 A. In -- for this case, yes. It is higher.

1 Q. So who made -- when Aon began working for
2 the Bureau, who made the decision to use RMS medium
3 term and AIR WSST for the net and the CAR?

4 A. This is a discussion with the Bureau and
5 especially for reinsurance. I believe, as I testified,
6 the medium term view and the warm sea surface
7 temperature view are used by reinsurers to determine to
8 price the reinsurance. Therefore, for reinsurance
9 purpose, for the NCOR calculation, it is -- so the
10 decision being made based on what's being used by the
11 industry.

12 Q. So who made the decision? Aon? Or
13 they -- was it already what the Rate Bureau wanted?

14 A. That, I -- that happened before I joined
15 this project, so not --

16 Q. So you don't know who made that decision?

17 A. I don't know who made the decision back in
18 2018, 2017.

19 Q. Okay. And for this filing, did -- not
20 back in 2021 when RMS medium term, I think you said,
21 came out and maybe the current version of AIR WSST, did
22 that come out in 2021?

23 A. They are. So both model version uses
24 before this filing will come out in 2021.

25 Q. Okay. So I'm not talking about any

1 evaluation you made of those as far as their
2 appropriateness for the CAR and the net cost of
3 reinsurance in this file. But in this filing, did you
4 conduct a whole new model suitability analysis for the
5 use of the medium term and the WSST for CAR and net?

6 A. I don't do model suitability study for
7 each individual project. I do model suitability for
8 general usage for the United States that cover for this
9 filing.

10 Q. Okay. So you didn't do any unique one
11 given the uniqueness of the Rate Bureau as opposed to a
12 single homeowner's carrier in another state?

13 A. That methodology, single homeowner of the
14 carrier, is reflected in our --in our methodology. But
15 in term of the use of model for state, for rate filing,
16 there is no additional uniqueness.

17 Q. Okay. So in any way, would the fact that
18 you're conducting a net and CAR analysis for a
19 hypothetical company that's supposed to be submitting
20 aggregated data, in any way would that affect the
21 outcome of the CAR and net calculations with medium
22 term and WSST?

23 A. So can you repeat your question?

24 Q. Yes, ma'am. So in your -- well, you
25 stated that you don't make -- state specific model

1 evaluations as far as using the WSST in the medium term
2 for CAR and net. Is that fair?

3 A. I conduct model evaluation, ASOP
4 evaluation to cover every coastal states, both long
5 term and the medium term historical and warm sea
6 surface temperature.

7 And since the scope of my review cover the
8 entire United States and cover both views, and so I
9 don't do additional model evaluation every time I take
10 on a new client project.

11 Q. So did you do any specific model
12 evaluation of the WSST in the medium term for the
13 hypothetical one?

14 A. So for the hypothetical one, it's based on
15 the medium term view, and it -- it's not appropriate to
16 base on the long term view. So --

17 Q. So as -- maybe I misspoke. Before using
18 the medium term and the WSST for the CAR and the net,
19 did you do any evaluation of the -- any uniqueness of
20 North Carolina, given that it has the hypothetical one?

21 A. In our model evaluation framework, we
22 include North Carolina in the testing, and we show the
23 difference, the impact of the warm sea surface
24 temperature view and other sensitivities, other
25 variables.

1 So, we don't do additional testing for each
2 project. Not -- we didn't do additional model
3 evaluation for this project.

4 Q. Okay. So as I understood your testimony,
5 Aon determines whether medium term and WSST are
6 appropriate for the CAR and the net on a national
7 basis?

8 A. The reason Aon believes those are
9 appropriate is because Aon place reinsurance for
10 clients. That are the model we use to place
11 reinsurance for those clients. And since the NCRB's
12 NCOR provision and the CAR based on reinsurance view,
13 Therefore, those models, medium term view, and warm sea
14 surface temperature are appropriate for this usage.

15 Q. I'm not asking whether they are
16 appropriate. I'm asking whether when Aon determined
17 that those were appropriate for the net and the CAR on
18 a national basis, did it make any special determination
19 for North -- whether they were appropriate uniquely for
20 the hypothetical one?

21 A. As I said, we determine the national
22 usage, and we look at each state. And, I don't
23 under -- I don't quite know what you mean special in
24 this case because we look at Florida, North Carolina,
25 South Carolina, and we determine the result we see

1 are -- are reasonable. So we -- we -- we feel those
2 models are appropriate to use.

3 Q. Okay. Other than the fact that the
4 results from the medium term so the results from the
5 medium term and the WSST according to North Carolina
6 were shown in what you produced, along with your
7 report. Is that right?

8 A. So again, what's your question? Other
9 than?

10 Q. The AIR WSST and medium term results as to
11 North Carolina were part of your -- what you produced
12 as part of your expert report. Is that --

13 A. So are you saying, yeah, we generate --
14 are you saying we generate, NCOR based on WSST model
15 and medium term model for NCRB net cost of reinsurance?
16 Is that your question?

17 Q. No. Maybe I'll -- did you produce any
18 data as part of your pre-filed testimony that showed
19 what the AIR WSST results for North Carolina in
20 particular were?

21 A. In particular?

22 Q. North Carolina.

23 A. So the -- the WSST, we -- the result is
24 based on particular NCRB's exposure. It is particular
25 to North Carolina.

1 Q. If I were to pick up all of the data you
2 produced from the results of the AIR WSST or the RMS
3 medium term, would I see anything specifying that those
4 were uniquely the North Carolina results?

5 A. It's not in that general report, but as I
6 mentioned, we have a model evaluation framework that
7 include those unique data point for North Carolina that
8 are part of my review.

9 Q. Did you produce anything for the
10 commissioner's actuaries that they could see that
11 showed that specifically or -- so specifically -- that
12 said these are the results from WSST and medium term
13 for North Carolina?

14 A. Those might not be in that report. At the
15 time I produced that report, I didn't -- didn't expect
16 those are being expected by the Commissioner's actuary.
17 But those results are available in our system, and I
18 can add the documentations if you consider that's
19 necessary.

20 Q. Our actuaries have already had to review
21 what you gave us.

22 A. Um-hum.

23 Q. You would produce it now so that they
24 could review it for the first time?

25 A. No. Those are -- I -- I'm just saying

1 what I produce is documentation of some examples what I
2 do. Since my review is countrywide, so when I do my
3 sensitivity testing, I pick two data point -- one
4 inland, one coastal.

5 And for that general report I produce, I happen
6 to pick two Florida point, but I could have picked two
7 North Carolina point. That will probably make it more
8 specific to North Carolina.

9 But what I'm saying is my review include all
10 coastal states, including North Carolina. And our
11 Aon's model evaluation framework covers North Carolina.

12 Q. So I'm talking about AIR WSST and RMS
13 medium term, not Aon's model.

14 A. Correct. Aon's model evaluation. I'm
15 talking about Aon's model evaluation. And in my -- in
16 my documentation, I showed -- in my ASOP documentation,
17 I did show the impact of the warm sea surface
18 temperature. If you go look into my report, you will
19 see that result. And I -- I will double check if -- if
20 how many state I show.

21 Q. And you mentioned that you ran or looked
22 at the results from Florida for WSST and RMS medium
23 term.

24 A. No. I look at --

25 Q. No, you didn't say -- you're saying --

1 A. I look at the result from all -- all
2 coastal states, and I evaluated the impact of warm sea
3 surface temperature or medium term, for the entire U.S.
4 states, all U.S. coastal states. And as I recall, I
5 did show by state impact, but I -- I need to verify
6 that. It's been almost three years since I produced a
7 report. I need to confirm what I produced back then.
8 But what I'm saying is I reviewed all the coastal
9 states, including North Carolina.

10 And in the big part of my report, I show the
11 sensitivity testing for a lot of the variables that
12 drive the hurricane losses. And for those relativity
13 testing, I typically pick two cities -- one coastal
14 city, one inland city.

15 And for that specific report, I believe I
16 picked, one Orlando, one Miami Beach. I didn't pick
17 the two points that in North Carolina. And that
18 probably make you believe I didn't look at anything in
19 North Carolina, but that's not true.

20 I look at North Carolina results as well. And
21 in fact, in one of the page, there is a bar. The bar
22 of the range include all the notional data point in all
23 the city we tested, and the North Carolina is within
24 that bar -- within those bars.

25 Q. From that, is that the only mention you

1 recall of anything North, any North Carolina results
2 from WSST and medium term?

3 A. I don't really get your question. What do
4 you mean specific? Because I -- as I said, our testing
5 include North Carolina result, North Carolina testing.
6 Those -- those results are considered used by my ASOP
7 compliance.

8 Q. So my question is, when the actuaries
9 received your filing or any of the data responses and
10 later discovery responses that the Bureau produced when
11 we asked for stuff beyond your filing, anywhere in that
12 universe, did -- were our actuaries able to see the
13 WSST and medium results by a line item that said these
14 are the results for North Carolina?

15 A. So we produce WSST, the entire event curve
16 to your actuaries, and she will be able to see that.
17 She got the entire model output for the -- for the --
18 for the filing.

19 Q. She would be able to -- either of -- any
20 of our actuaries -- would be able from that curve to
21 figure out what part of it was specifically the numbers
22 that WSST and medium term produced for North Carolina?

23 A. Yes. Because we run that on the North
24 Carolina exposure, and we produce result database and
25 we provided those database to your actuary.

1 Q. Okay. Thank you. When you said -- oh,
2 no. Actually, I've got that. So going back to ASOP 38
3 and so in my understanding for Aon, whether it's doing
4 a CAR and net analysis, does it always use AIR medium
5 term -- excuse me, AIR WSST and RMS medium term for CAR
6 and net?

7 A. Yes. For any reinsurance place --
8 placement and for any residual market assessment
9 analysis, all we always use the medium term view and --
10 and the warm sea surface temperature view.

11 Q. Okay. So for an individual carrier, for
12 example, in South Carolina, you would still use AIR
13 WSST --

14 A. Correct. For Florida, for anywhere in the
15 country for -- for reinsurance and residual market
16 assessment purpose.

17 Q. Do you know whether other actuaries, when
18 they are calculating the net and the CAR always use
19 medium term and WSST?

20 A. I -- other actuaries, I think, so far, I
21 know your actuaries may not do that, but they are
22 really a minority because, what I see, who I deal with
23 the in the real client work, we use the medium term
24 view and warm sea surface temperature view.

25 Q. When you say we, do you mean Aon?

1 A. Aon and, yes, and people working the
2 insurance -- insurance industry and reinsurance
3 industry. This is what I mean.

4 Q. So have you seen actuaries outside of
5 North Carolina using AIR standard and RMS historical to
6 calculate the net and the CAR?

7 A. I don't recall. I have seen that.

8 Q. Okay. Have you -- do you see other
9 actuaries' calculations of the CAR and the net?

10 A. Not much CAR, I would say, but net cost of
11 reinsurance, I see a lot. In -- in reality, Aon
12 produce most of the output to -- to our client for
13 their refilings for net cost of reinsurance.

14 Q. Yes. But I'm talking about other
15 actuaries work on non-Aon clients. Do you see much of
16 that?

17 A. Yeah. I -- I sometimes, I look for rate
18 filings. I may see some of other actuaries' work
19 product, but I don't remember I see the long term usage
20 of those model.

21 Q. Okay. Now, you just mentioned you didn't
22 see many people using -- maybe -- is it that you don't
23 see many other actuaries doing a CAR calculation?

24 A. Because it's a unique provision in North
25 Carol i na.

1 Q. Okay. So in other states, there isn't any
2 provision allowing, in your experience, for
3 consideration of the Beach Plan data or Beach Plan
4 assessments.

5 A. No. That's not true. I give you a couple
6 examples. In Florida, all the assessment by Florida
7 citizens is recoupable. And, in fact, it's a pass
8 through, direct pass through to policyholders.

9 So there -- for them, there will be no need to
10 have the CAR provision because as soon as they are
11 assessed, they can pass the cost to the policyholders
12 and, similar provision in Louisiana and in other state.

13 And there are some state, like a California FAIR
14 Plan, for example. California FAIR Plan allows 50
15 percent recoupable through pass through for the first
16 \$2 billion industry assessment. And, yes, if you want
17 do more example, I can give you additional examples.

18 Q. So you're making a distinction between
19 there are some states that allow for 100 percent
20 recoupment?

21 A. Correct.

22 Q. And then there are some states that allow
23 for a 50 percent recoupment?

24 A. Correct.

25 Q. Okay. And North Carolina, at what point

1 does it allow for recoupment of the Beach Plan
2 assessment?

3 A. That is North -- North Carolina's first \$1
4 billion assessment is nonrecoupable. My understanding
5 is any assessment beyond the \$1 billion is fully
6 recoupable through policyholder surcharge.

7 Q. Okay. So in California filings, have you
8 seen actuaries calculate the CAR?

9 A. No. Because California, it's that
10 regulation I was talking about just become effective
11 just a couple months ago. And hasn't been a situation
12 that triggered said regulation.

13 Q. So in other -- are there other states that
14 you've seen where there's a state that has a law that
15 says the Beach Plan or their equivalent of the Beach
16 Plan assessments are partly recoupable?

17 A. Yeah. There are states that are saying,
18 for example, Alabama, is saying the Beach Plan, FAIR
19 Plan assessment could be reflected in the refiling.
20 FAIR Plans, their AIUA, underwriting association's
21 assessment can be reflected through refiling. And,
22 similarly, in Texas, FAIR Plan has a similar provision
23 to it.

24 Q. So in Texas and I believe you said South
25 Carolina?

1 A. No. I -- I was saying AIUA, Alabama.

2 Q. Oh, Alabama. Excuse me.

3 A. Yeah. Alabama. Yeah.

4 Q. Okay. So for in Alabama and Texas, does
5 their statute -- do those states, first of all, have
6 both a Beach Plan and a FAIR Plan?

7 A. So, for Texas, has a TWIA, Texas Wind
8 Underwriting Association, it's similar to your Beach
9 Plan, and then Texas has a FAIR Plan as well. But for
10 Alabama, there's only one residual market. It's called
11 AIUA, Alabama Insurance Underwriting Association.

12 Q. So in Texas, is there a statutory
13 provision that allows for consideration of
14 nonrecoupable assessments by both Texas's FAIR Plan and
15 by Texas's equivalent of the Beach Plan?

16 A. Okay. Yes. The equivalent, we call it
17 TWIA. So for three years, they also have the \$1
18 billion nonrecoupable assessment, and there is no
19 statute allow them to build a CAR provision, not in
20 Texas.

21 Q. Okay. So Texas doesn't allow for any
22 consideration of CAR. Is that --

23 A. That's correct.

24 Q. Thank you.

25 A. For the one billion. But the FAIR Plan,

1 they allow through the rate filing. There is a
2 difference between windpool association and the FAIR
3 Plan.

4 Q. So Texas has a statutory provision that
5 allows for CAR for its FAIR Plan?

6 A. It's -- yes. It's -- it's not called CAR.
7 It's just a -- the way for a company to recoup the
8 assessment.

9 Q. Okay. So it -- and that's specific to the
10 Texas FAIR Plan?

11 A. That's specific to the FAIR Plan. But
12 what we are talking about here, it's not a recoup of
13 the assessment. It is compensation for assessment
14 provision. That's a different concept.

15 Q. I understand that.

16 A. Okay.

17 Q. So, it sounds like -- is it fair to say
18 that the -- notwithstanding whatever the California
19 changes have been recently, but North Carolina's CAR
20 provision is -- is it fair to say unique?

21 A. I would say, yes, it's unique.

22 Q. Okay. And who first designed in the
23 history of, if you know, of Rate Bureau filings the
24 method for calculating the CAR?

25 A. I believe that's a Milliman's methodology.

1 Q. Okay. So you think that came from
2 Milliman?

3 A. I -- that's, yes. I believe so.

4 Q. Do you know if it came from -- I don't
5 know if Dr. Appel is still in the room, but do you know
6 if it came originally from Dr. Appel?

7 A. I -- that's my understanding. Dr. Appel
8 is, yeah, a creator of that methodology.

9 Q. And you've continued to use Dr. Appel's
10 methodology for calculating the CAR?

11 A. Yes. Because I -- this is what the
12 decision made by the Rate Bureau to continue use the
13 same methodology for this analysis.

14 Q. Okay. And I've forgotten what parts of
15 the 2014 Court of Appeals order you read or didn't
16 read. Do you recall reading anything there about the
17 CAR?

18 A. I don't recall. I --

19 Q. Do you recall reading anything in the 2014
20 Commissioner's order about how he treated the CAR?

21 A. I don't recall.

22 Q. Okay. So I'm going to move on to sort of,
23 as best I can, the -- what you know about the general
24 customization of AIR -- all two AIR models and the two
25 RMS models for North Carolina. And I'm talking about

1 the customization of -- let's start with the
2 engineering module. What do you actually know about
3 how they've customized their models for North Carolina?

4 A. What -- I think you are getting into the
5 model development question again. But what I generally
6 know is model vendors use year built as a proxy of the
7 building code, and they also track in different part of
8 the country what building code is being adopted, being
9 enforced.

10 And in their calibration of the vulnerability
11 functions, they actually reflect their -- these
12 knowledge in their different regional vulnerability
13 functions.

14 Q. Okay. So using the engineering function
15 as an example, I believe you said there was, one, they
16 look at specific states' building codes.

17 A. Um-hum.

18 Q. How do you know that?

19 A. I noticed, yeah, I sometimes, yes. I -- I
20 do try to get a general understanding, yeah, what is a
21 building code in different states. Are any states are
22 have specifically strong building code versus weak
23 building code and any state are behind adopting
24 building code, things like that.

25 Q. So as to the Aon and RMS models that you

1 used, how do you know that they looked specifically at
2 North Carolina building code?

3 A. Again, they are -- they just look at -- I
4 think they keep track of what's -- what's being updated
5 in -- in different region. And sometimes, even a
6 building code is adopted, they may not reflect
7 immediately in their model because they -- they feel if
8 the state doesn't enforce certain building code, so
9 then they may have some delays in reflecting those
10 building code in the region.

11 Q. Okay. So is it only your impression that
12 AIR and RMS have actually looked at the North Carolina
13 building code?

14 A. I read ARR's report. They did mention,
15 they noticed some specific county in North Carolina,
16 their specific building codes there, they discussed.
17 And I also checked ARR's, their building code adoption.
18 They have a methodology for ICC. ICC means
19 International Code Council.

20 Q. Um-hum.

21 A. And this is one of the building code North
22 Carolina is adopting.

23 Q. Okay. So do you know if there are any --
24 is any such thing in North Carolina as a countywide
25 building code?

1 A. That, I'm, I -- I noticed in the AIR's
2 documentation, there are -- yeah. They call out some
3 county, building code, specific building code. But
4 I -- I'm not aware if every county has their own
5 building code. I do know North Carolina statewide,
6 they generally adopt a building code every certain
7 years.

8 Q. Okay. And you stated that there is
9 something -- was it only in the AIR that shows
10 consideration of the international code?

11 A. The RMS model, they use, some the year
12 built. I think year built function is a proxy of the
13 building code.

14 Q. The international code?

15 A. So the -- it's not -- may not be an
16 international code, but it's a -- it could be a
17 combination of the IBHS code or international code.
18 It's -- so when you talk about the code, it's every
19 code is a combination of certain features.

20 Q. Um-hum.

21 A. So you can use the same model, and you
22 just encode the exposure differently, then it become
23 IBH gold bronze, or become the ICC code.

24 Q. Yep. I'm familiar with the adoption of
25 the code in North Carolina. The -- that's in the RMS.

1 So you saw some proxy for the ICC in the RMS models?

2 A. I, in the past, when I do project, I did
3 try to map RMS into different building code. And I
4 work with RMS. I asked them to give me some combo.
5 How can I do the IBHS? How can I do the ICC?

6 Yes. I -- I'm aware both of the models have
7 capabilities to fully reflect those building codes.

8 Q. The International Code Council's code is
9 what we mean when we say ICC. Is that right?

10 A. I think both. ICC is -- ICC just means
11 certain values for certain building characteristics and
12 based on years. And, yes, both models, they can
13 reflect ICC building code.

14 Q. Okay. Have you seen that same thing? Any
15 reflection of AIR taking into account the ICC code?

16 A. AIR taking -- yes. AIR had in their
17 documentation, they have a table on every state where
18 is the status of the ICC building code or other
19 building code. Yeah. AIR definitely keep track of
20 that.

21 But in term of is that consistent with the exact
22 year when the state adopt it, it may not be because
23 AIR, sometimes they believe if the building code is not
24 enforced, then they will not immediately update their
25 model.

1 Q. Okay. Do you know how much the North
2 Carolina building code varies from the international
3 code, the ICC?

4 A. That, I don't know. I think all those
5 will be in the individual building characteristics, in
6 the individual insurer exposure data we deal with. But
7 I don't know how North Carolina vary from the ICC code.
8 My understanding is in 2000 -- let me think, 2018,
9 North Carolina adopted the 2015 ICC building code. And
10 it is about and again, in 2023, North Carolina adopted
11 the 2021 ICC building code, and that is not effective
12 yet. The effective date is January 1, 2025.

13 Q. You're right. That's when they adopted
14 the latest North Carolina code. Is it your
15 understanding that the North -- that in 2018 and in
16 2023, North Carolina adopted the ICC code entirely?

17 A. I understand. I -- I -- my understanding
18 is, in 2018 and the 2023, North Carolina adopted the --
19 the code, the -- the ICC code. However, I'm not sure
20 how well those building code are enforced because when
21 I look at IBHS, the building code score by state, I
22 don't see significant change for North Carolina in the
23 past six years. The score has been almost constant.

24 Q. Do you know whether the North Carolina
25 code that was adopted, the residential codes, we're

1 talking about residents here. Did you know there was a
2 special -- there's a separate North Carolina
3 residential code from, say, a commercial building?

4 A. I'm aware they are separate code for
5 residential and commercial, but, here, I'm mainly
6 talking about residential code.

7 Q. Okay. And do you know whether North
8 Carolina, in fact, only adopts certain provisions from
9 the ICC for its residential code?

10 A. That, I'm not fully aware because I -- I
11 consider those are engineers' expertise. And I, for --
12 for my purpose, I want to -- I want to have general
13 knowledge, but I'm not trained and educated to fully
14 understand.

15 Q. Okay. So have you seen any indication in
16 the AIR documentation you've seen or the RMS
17 documentation you've seen whether they're aware how
18 different the North Carolina residential building code
19 has been from the ICC? Are there -- you see anything
20 suggesting they're aware of that difference?

21 A. So I -- I -- I don't -- I -- I think you -
22 - I -- my -- the documentation I see is --

23 HEARING OFFICER FUNDERBURK: I'm sorry
24 to interrupt, Ms. Mao. We're going to take a brief
25 recess. I need to address something technically.

1 We're off the record for 15 minutes. Thank you.

2 (Recess was taken from 2:32 p.m. to 2:48 p.m.)

3 HEARING OFFICER FUNDERBURK: Thank you.

4 We're back on the record at 2:48.

5 Ms. Mao, I'll remind you, you're still
6 under oath.

7 Mr. Friedman, my apologies for
8 interrupting your, your train of thought. Please
9 proceed with your examination.

10 BY MR. FRIEDMAN:

11 Q. So, Ms. Mao, do I understand your
12 testimony to me to be that both RMS and AIR, you've
13 only seen reference by them to incorporating the ICC?

14 A. Yes. I see reference, they incorporating
15 ICC. That's correct.

16 Q. And you haven't seen any reference by them
17 to them incorporating specifically the North Carolina
18 building code?

19 A. In AIR documentation, actually, it's --
20 it's very specific for each state, which ICC here is
21 adopted. They -- they do see -- see that. I do see
22 that with AIR documentation. You also, I believe it's
23 in the documentation I submitted to you.

24 Q. So it states that North Carolina Building
25 Code Council has adopted the ICC.

1 A. Um-hum.

2 Q. Okay. Do you know whether that means that
3 the North Carolina Building Code Council adopted all of
4 the ICC or only certain provisions?

5 A. That, I don't know the details of that.

6 Q. And you don't know if AIR knows the
7 details of that either?

8 A. I -- not from the documentation I see, but
9 I don't assume AIR doesn't know it.

10 Q. Okay. And when North Carolina Building
11 Code Council adopts and I'm going to put quotes around
12 adopts. When it says it "adopts" the ICC, do you know
13 whether it rewrites those provisions of the ICC in
14 part, some of them, that it actually says it adopts?

15 A. That, I don't know. I believe you already
16 asked me that question. I said I don't know.

17 Q. Okay. Out of your calculation of the
18 hurricane losses, what percentage of that calculation
19 is due to the engineering module?

20 A. That part is -- cannot be quantified,
21 because the model output is frequency and the severity
22 and engineering module. It's a composite result of all
23 the module and also reinsurance module, financial
24 module. You cannot really quantify what loss is caused
25 by engineering module.

1 Q. Okay. So hypothetical, if the engineering
2 model were causing 33 percent of the model loss, and
3 then -- well, then it would be -- okay. If it were
4 causing 33 percent of the modeled loss and you don't
5 know whether that engineering module is actually based
6 on North Carolina's building code --

7 A. It's not a valid assumption. As I said,
8 engineering module itself doesn't create modeled loss.
9 If you have no hazard, only engineering, there will be
10 zero loss. It's always the interaction of hazard
11 engineering and the financial model to generate the
12 results.

13 Q. Exactly. I'm only asking about the
14 hypothetical 33 percent that would have been due to the
15 engineering module.

16 A. Hypothetical 33 percent of what?

17 Q. Of the ultimate modeled hurricane losses.

18 A. As I said, it cannot be quantified that
19 way because without hazard, you cannot just talking
20 about engineering module alone. Because if there is no
21 hazards, there will be no damage. No wind, no damage.
22 Right?

23 Q. Understand that. Would you agree that, at
24 least as to the engineering module and whatever
25 intermingled portion of the loss -- the model hurricane

1 loss costs it contributes to. Would you agree that
2 that would not be actuarially sound if you didn't know
3 if it took into account North Carolina's building code?

4 A. If they -- would I agree? If they
5 completely ignore North Carolina building code, then,
6 yeah, I see a problem. However, that's not a choose
7 because both vendors, they use different, either
8 building code or year built to reflect North Carolina
9 building code.

10 And I also want to point out, you just mentioned
11 2018. And 2018 adoption of the building code was not
12 effective until 2019. And when you talk about -- and
13 those building code only apply to new constructions.
14 It's -- it's not a retrofit to the old buildings. So
15 it only impact a very small portion of your statewide
16 exposure.

17 Q. Okay. You're absolutely right. The
18 Building Code Council did adopt the -- had a 2018
19 adoption and that took effect in 2019. And, yes, the
20 building code -- I don't want to be testifying. So let
21 me ask you this.

22 Do you know anything about the existing building
23 code in the North Carolina building code?

24 A. What is the existing? I -- not -- not in
25 detail. No.

1 Q. Okay. Do you know about the concept or do
2 you know what an existing building code is?

3 A. No.

4 Q. Do you know that building codes do have a
5 provision that applies to residences that deals with if
6 that residence is damaged, let's just say if its
7 electrical systems are damaged, whether it has to be
8 brought up to the current electrical standards or the
9 ones that were in effect when the house was built?

10 A. Yes. I am aware of those law and
11 ordinance requirement, and a similar provision existed
12 in Florida. Yes, I am aware. Yeah. If the building
13 is damaged to a certain percentage, say, 50 percent,
14 the building need to be rebuilt, to -- to the new
15 building code. I am aware of that.

16 Q. Okay.

17 A. Yes.

18 Q. So you said just now that the building
19 code was only applicable to new homes, so that wouldn't
20 have, I -- I guess, affected your analysis.

21 A. I'm -- it's a building code is, so, yeah,
22 so, yeah, I can correct myself. The new building code
23 applied to the new constructions as well as those
24 buildings that damage beyond certain threshold has to
25 be rebuilt to the new building code, but it doesn't

1 require every existing building to be retrofit into the
2 new building code.

3 Q. Right. So how about specific systems
4 within houses? Do you know whether in North Carolina,
5 if you remodel your bathroom --

6 A. Um-hum.

7 Q. -- you have to bring it up to current code
8 or the code that was in existence at the time your
9 bathroom was originally constructed?

10 A. That, I don't know. I think I pay
11 attention most, mostly when it has insurance and the
12 reinsurance impact. I don't have -- I didn't study.
13 So is that specifics related to renovation? No. I
14 don't know.

15 Q. Okay. Then as to damage, let's just say
16 only let's say the bathroom and the kitchen are
17 damaged, and that's what the insurance companies end up
18 paying under their homeowners' policies.

19 A. Um-hum.

20 Q. Do you know whether that bathroom has to
21 be brought up in any way to the current plumbing code?

22 A. Are you talking about any bathroom, or
23 you're talking about the only when the total damage is
24 beyond a certain threshold?

25 Q. Even if the total damage is not beyond the

1 threshold. If there is a -- let's -- if there is a
2 storm and it affects the electrical wiring of a house,
3 do you know whether or not the -- what's called the
4 North Carolina Existing Building Code requires that
5 that electrical system, when it's being rebuilt, be
6 brought up to the current electrical code standards?

7 A. I don't know the specific of this item,
8 but I also believe this type of knowledge reside in the
9 engineering community. And it's not my responsibility
10 to know every aspect of the engineering details.

11 Q. I understand that. Would you agree that
12 with regard to homeowners' insurance, whether or not if
13 there's a hurricane and it takes out somebody's
14 electrical wiring, in North Carolina, would you agree
15 that whatever the building code says about how that
16 electrical wiring has to be reconstructed is relevant
17 to what homeowners' carriers have to pay out?

18 A. I'm not aware, but you actually brought to
19 my attention important issues that is modeling vendor
20 may not -- if they didn't reflect all the details you
21 just discussed, that might be -- they may underestimate
22 hurricane loss for North Carolina.

23 Because the things you discuss are -- will
24 significantly increase insured loss for -- for those
25 policies. And I think, yeah, that's a very valuable

1 information for vendors to consider, I think.

2 Q. So whatever effect the North Carolina
3 Existing Building Code would have on AIR and RMS's
4 calculations, engineering -- in the engineering module,
5 would you agree that the Department's actuaries can't
6 tell because they don't even know if the RMS and AIR
7 models take into account North Carolina's building
8 code?

9 A. I believe we submitted the documentation,
10 help them to understand whether or not both models
11 considers a building code.

12 Q. You've stated that you don't know whether
13 AIR and RMS actually consider the North Carolina
14 building code as opposed to the ICC. Is that correct?

15 A. So you are asking a very specific
16 engineering question that I don't --

17 Q. I'm asking whether you have personal
18 knowledge since you ran the model.

19 A. Since I run the model, I know modeling
20 vendor have the engineering expert to track the
21 building code to reflect the building code in the
22 model. And to that extent, how much is that each
23 county specific, or does that include the bathroom, the
24 wiring in the bathroom? That, to that detail, I don't
25 know because, yeah, that part, we don't -- modeling

1 vendor don't have the documentation for that.

2 Q. Okay. So you assume that AIR and RMS have
3 even looked at the North Carolina building code because
4 they -- they employ a bunch of good engineers?

5 A. I -- I need to have a certain trust to
6 other experts. So that is, yeah, I cannot, as an
7 actuary, I cannot do everything myself, and I need to
8 rely on expert, beyond my own self, my area of
9 expertise.

10 Q. So I'm sorry, ma'am, but once again, I'm
11 very unclear by your answers sometimes. The only
12 reason you have --

13 HEARING OFFICER FUNDERBURK: Mr.
14 Friedman, Mr. Friedman, you don't need to make
15 commentary.

16 MR. FRIEDMAN: I'm sorry. I -- I'm
17 sorry. That was unnecessary.

18 BY MR. FRIEDMAN:

19 Q. The only reason you haven't seen anything
20 in the AIR or RMS documentation referring specifically
21 to the North Carolina building code, but you only see
22 it referring to the ICC. Is that correct?

23 A. That's correct. I -- I see the ICC and
24 but I don't assume they don't have the North Carolina
25 building code.

1 Q. Okay. But you only assume they've looked
2 at it because they have -- you have to have trust in
3 RMS and AIR.

4 A. I -- I -- I believe they look at that
5 because I was part of the Florida Commission. I
6 reviewed how they reflect Florida building code, and I
7 believe the under the same engineering discipline, they
8 will review other area. That is my assumptions.

9 Q. Okay. Were you part of the Florida
10 Commission for both the review of -- well, review of
11 both RMS models that you used here?

12 A. No. Because these models were released in
13 2021 at the time I work at Aon.

14 Q. Okay. Were you familiar with the pre-2021
15 RMS models, the medium term and the historical that you
16 used here, were you there when those were approved?

17 A. I reviewed the two cycles of models that
18 were released in 2015 and 2017.

19 Q. Okay. And did those include the RMS
20 medium term and the RMS historical?

21 A. Florida Commission only reviews long term
22 views.

23 Q. Oh, so the Florida Commission doesn't even
24 approve WSST or medium term?

25 A. Florida Commission approved model to use

1 for the rate making. And they don't restrict the model
2 on what model to be used for reinsurance purpose.

3 Q. I'm not talking about reinsurance
4 purposes. I'm talking about hurricane purposes.

5 A. Yes.

6 Q. Do they approve -- have they ever approved
7 of either the WSST or the medium term?

8 A. As I already answered your question
9 earlier, I said, Florida Commission only review and
10 approves the long term model, and that is why long term
11 models are used for rate filings.

12 Q. Okay. And you -- are you saying that they
13 do approve the medium term and WSST for reinsurance
14 purposes?

15 A. No. I don't say they approve medium term
16 bill. They don't have any regulation on what model to
17 be used for reinsurance purposes.

18 Q. Okay. Thank you. I'm going to move on to
19 new topic, ma'am.

20 A. Sure.

21 Q. I'm going to talk about how your results,
22 if at all, have been affected by Dr. Zanjani's
23 analysis. And in turn, if you know about whether your
24 analysis has affected Dr. Zanjani's analysis. So I'll
25 start with the first question.

1 Is your analysis at all affected by Dr.
2 Zanjani's profit calculation?

3 A. No.

4 Q. Okay. Does your analysis affect Dr.
5 Zanjani's profit calculation in any way?

6 A. I don't know. I'm not hired to do that
7 work. My job is to provide hurricane model loss and
8 the reinsurance and the CAR analysis.

9 Q. Okay. Do you know what return on equity
10 is?

11 A. I know it's -- stand for, yeah. ROE. I
12 know.

13 Q. Um-hum. And how do you calculate the
14 return on equity?

15 A. What is -- that's not -- not my job for
16 NCRB.

17 Q. I know, but I'm asking you. According to
18 the actuarial standards, do you calculate -- I'll ask
19 this. Do you calculate the return on equity by
20 dividing a company's net income by its shareholders'
21 equity?

22 A. I don't calculate that way. No. It's --
23 so it's -- I don't do the ROE calculation for -- for
24 this filing. And generally, I don't do ROE
25 calculation.

1 Q. Okay. So you don't know how actuaries
2 calculate the ROE?

3 A. It doesn't mean I don't know. I just tell
4 you that's not my job responsibility. That's -- it's
5 been done by other experts.

6 Q. Do you know if actuaries calculate the
7 return on equity in part by considering the net income
8 of the shareholders' equity?

9 A. I -- I think I already told you. I --
10 there are nine different ways to calculate return on
11 capital and with specific context. And that's not my
12 major responsibility. It's irrelevant to this
13 refiling.

14 Q. Does one of those nine ways include some
15 consideration of the shareholders' equity?

16 A. So I believe so. Yeah. One way would be.

17 Q. Okay.

18 A. Yeah.

19 Q. And when you're referring to return on
20 equity, you just said cost of capital. Do you
21 understand those to be the same thing?

22 A. As Dr. Zanjani already discussed, they
23 are -- one is accounting term, one is the investment
24 terminology, and sometimes they are interchangeably
25 used.

1 Q. Okay. Dr. Zanjani also -- did you hear
2 him testify or have you reviewed his testimony that
3 when he uses the term cost of capital, he's using it
4 not in the actuarial sense, but as an economist?

5 A. If he testified, but I don't -- yeah. I'm
6 aware you asked those questions, but my responsibility
7 in this filing has nothing to do with cost of capital.

8 Q. I understand that. I'm asking about your
9 awareness of how actuaries generally calculate the cost
10 of capital.

11 A. Yes. I see that in rate filings.

12 Q. Okay.

13 A. Yeah.

14 Q. And do actuaries treat the term return on
15 equity as roughly synonymous to cost of capital?

16 A. I see filings. Sometimes it does
17 interchangeably used.

18 Q. All right, thank you. And when they are
19 considering actuaries, not economists, considering --
20 or not economists who have an actuarial certification
21 too, but for testifying as economists -- the -- do
22 actuaries in computing the cost of capital take into
23 effect -- take into account the expected return that
24 the market demands on the capital and surplus
25 investments?

1 A. I don't -- I don't know what you're
2 getting into because that's not my job for this --

3 Q. You don't know how actuaries calculate the
4 cost of capital?

5 A. I don't know what you are trying to
6 accomplish by asking these irrelevant questions.

7 Q. Do you know how actuaries who do calculate
8 cost of capital typically calculate it?

9 A. I see refilings. I -- I know how they are
10 calculated.

11 Q. Okay. And when they calculate cost of
12 capital, do they not take into account what the market
13 expects of the return on investment of capital and
14 surplus?

15 A. So are you, again, you are talking about
16 those accounting firm -- accounting terms and
17 investment terms, and we already have hours of
18 discussions on that topic, I believe, in prior days. I
19 don't know what, this in --

20 Q. I'm not talking about the accounting
21 terms. The meaning of, like, of cost of capital to
22 accountants. I'm talking about the meaning of it to
23 actuaries whom you've seen calculate cost of capital.

24 A. So -- so then can you repeat your
25 question?

1 Q. Yes, ma'am. Do they not calculate cost of
2 capital based on what the market demands from, in part,
3 investments of capital and surplus?

4 A. As I recall, the cost of capital does
5 reflect reasonable expectation for the return.

6 Q. On the investment of capital and surplus?

7 A. So I -- I think I have to think about
8 the -- these questions because these -- these are not
9 my typical job responsibilities.

10 Q. Have you ever seen an actuary in his
11 calculation of the cost of capital address what
12 unrealized capital gains the market expects?

13 MR. SPIVEY: Did -- did you say
14 unrealized capital gains?

15 MR. FRIEDMAN: Unrealized. Yes.

16 MR. SPIVEY: You've -- you've changed
17 topics here.

18 MR. FRIEDMAN: No. I'm still -- I'm
19 asking about a component of the calculation of what
20 the -- a component of what the calculation of what
21 the cost of capital includes is not only the actual
22 investment's returns, but also the not the only the
23 realized investment returns. In fact, those are
24 technically no longer even capital and surplus.

25 But what I'm asking is the unrealized

1 returns on capital and surplus, such as the
2 expectation that -- by the market -- that they're
3 going to earn dividends for however long they own
4 the stock. Or, for example, the expectation by the
5 market that, ultimately, when they sell the stock,
6 they're going to get more than they originally paid
7 for it? Are those not reflected in --

8 HEARING OFFICER FUNDERBURK: Mr.
9 Friedman?

10 MR. FRIEDMAN: Yes, ma'am.

11 HEARING OFFICER FUNDERBURK: Proceed
12 with your questioning. And I'll ask him to restate
13 so it's clear exactly what the question is that
14 you're being asked to respond to, Ms. Mao.

15 BY MR. FRIEDMAN:

16 Q. Do you know what unrealized capital gains
17 are?

18 A. I understand -- I know what it is.

19 Q. And are -- do unrealized capital gains
20 include what an investor expects to receive in
21 dividends for as long as he holds the stock?

22 A. Again, I -- I just want to tell you,
23 that's not my typical actuarial work. So I don't want
24 to have a comment on those specific things that I'm --
25 that's not related to my job.

1 Q. Ma' am, can I --

2 HEARING OFFICER FUNDERBURK: And I'll
3 clarify. To the extent that you don't know an
4 answer, you can say you don't know. As to whether
5 or not a question might be relevant, that'll be up
6 to Mr. Spivey to object to, and then I'll make a
7 ruling on it.

8 I'm not sure what foundation Mr.
9 Friedman is laying, but I presume he's laying a
10 foundation for something.

11 THE WITNESS: Okay.

12 HEARING OFFICER FUNDERBURK: So I'll
13 ask until there's an objection regarding relevance
14 that to the extent that you're that you're able and
15 have knowledge --

16 THE WITNESS: Okay.

17 HEARING OFFICER FUNDERBURK: -- that
18 you do answer the question. Thank you, ma'am.

19 BY MR. FRIEDMAN:

20 Q. I'll clarify my questions. I'll break
21 them up as much as I can into two different ones.

22 When you've seen other actuaries who have
23 computed or calculated the cost of capital, have you
24 seen that, in their calculations, is what the
25 shareholders expect in terms of dividends?

1 A. I don't remember.

2 Q. Okay. Have you seen any mention of what
3 the shareholders expect in terms of, ultimately, what
4 they will get for their shares when they sell them?

5 A. I don't remember.

6 Q. Okay. So you don't know, in fact, whether
7 actuaries calculate their cost of return of capital in
8 part based on those?

9 A. I see actuaries calculate their return,
10 but I don't remember those specific details because
11 those are not my main practice area. I usually just
12 simply take the output final result of -- of those
13 calculation.

14 Q. Okay. Thank you. All right. So I'm
15 going to move on, ma'am, to the question of demand
16 surge at --

17 HEARING OFFICER FUNDERBURK: Are we
18 changing topics at this point?

19 MR. FRIEDMAN: It's still very much
20 within her actual loss calculations. But, yes, I
21 am changing questions from talking about the cost
22 of capital to our demand surge calculations.

23 HEARING OFFICER FUNDERBURK: I know
24 it's a little earlier than we had planned to
25 recess. Would this be, as -- as goes to your line

1 of questioning, would this be a good point for a
2 recess?

3 MR. FRIEDMAN: It absolutely would be
4 fine.

5 HEARING OFFICER FUNDERBURK: Any
6 concerns, Mr. Spivey? Okay. I appreciate your
7 flexibility. I'm going to recess us today at 3:15.

8 MR. FRIEDMAN: Could I address -- I
9 think we discussed this one thing on the record,
10 and it is that since we're going till noon
11 tomorrow, and I don't know what redirect they may
12 have, Mr. Spivey had been talking about whether Mr.
13 Ericksen, who was going to be scheduled for Friday,
14 should really be anticipated to testify. And I
15 have no problem with Mr. Erickson testifying when
16 we reconvene on the 23rd.

17 HEARING OFFICER FUNDERBURK: 23rd.

18 MR. SPIVEY: We have no problem.

19 HEARING OFFICER FUNDERBURK: You have
20 no objections to that? Then we'll plan for that.
21 We'll resume at 9:00 a.m. sharp tomorrow with a
22 plan to recess at approximately noon. As we saw
23 yesterday, we went a little over.

24 Today, we're recessing a little early.
25 I'm fine with that adjustment to the schedule. We

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

will bring him in on the 23rd. Thank you, counsel.
We are in recess.

* * * * *

(Hearing adjourned at 3:19 p.m.)

CERTIFICATE OF REPORTER
STATE OF NORTH CAROLINA
COUNTY OF WAKE

I, Wendy Sawyer, court reporter, do hereby certify that the witnesses whose testimony appears in the foregoing hearing were duly sworn; that the testimony of said witnesses was taken by me to the best of my ability and thereafter reduced to typewriting under my direction; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this hearing was taken, and further that I am not a relative or employee of any attorney or counsel employed by the parties thereto, nor financially or otherwise interested in the outcome of the action.

This, the 10th day of October, 2024.



WENDY SAWYER, Court Reporter

Notary Public #202411500157

Commission Expires April 23, 2029